



800-843-7348 - [SOUSA.COM](http://SOUSA.COM) - 877-843-8443

# **Community Engagement Panel Public Meeting**

## **Transcript of Proceedings**

**Date: 05/22/2014**

**Job #: 592854**

Court Reporting – Videoconferencing – Trial Presentation – Nationwide Networking

**Calabasas - Hermosa Beach - Santa Ana - Riverside - San Diego - Las Vegas**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

SAN ONOFRE DECOMMISSIONING  
COMMUNITY ENGAGEMENT PANEL MEETING  
STATE OF CALIFORNIA, COUNTY OF ORANGE

TRANSCRIPT OF PROCEEDINGS  
LAGUNA HILLS, CALIFORNIA  
THURSDAY, MAY 22, 2014

REPORTED BY:  
BROOKE M. GALLAUGHER  
CSR NO. 13360  
FILE NO. 592854

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

SAN ONOFRE DECOMMISSIONING  
COMMUNITY ENGAGEMENT PANEL MEETING  
STATE OF CALIFORNIA, COUNTY OF ORANGE

Transcript of proceedings, taken at 25205 La Paz  
Road, Laguna Hills, California 92653, commencing at  
the hour of 6:07 p.m., Thursday, May 22, 2014,  
before BROOKE M. GALLAUGHER, CSR No. 13360.

1 PANEL APPEARANCES :

2 DAVID G. VICTOR  
CHAIRMAN

3

4 CEP MEMBERS :

5 EDWARD "TED" QUINN  
AMERICAN NUCLEAR SOCIETY, SAN DIEGO CHAPTER

6

7 PRESIDENT JOHN ALPAY  
CAPISTRANO UNIFIED SCHOOL DISTRICT BOARD OF  
TRUSTEES

8

9 RICH HAYDON  
CALIFORNIA STATE PARKS

10 LARRY RANNALS  
CAMP PENDLETON

11

12 MAYOR LISA BARTLETT  
DANA POINT

13 VALENTINE "VAL" MACEDO  
LABORERS INTERNATIONAL UNION OF NORTH AMERICA LOCAL  
14 89

15 DAN STETSON  
OCEAN INSTITUTE

16

17 JEROME M. "JERRY" KERN  
OCEANSIDE CITY COUNCIL MEMBER

18 GARRY BROWN  
ORANGE COUNTY COASTKEEPER

19

20

21

22

23

24 (Continued.)

25

1 APPEARANCES CONTINUED:

2

3 GENE STONE  
RESIDENTS ORGANIZED FOR A SAFE ENVIRONMENT

4

5 MAYOR TIM BROWN  
SAN CLEMENTE

6 SUPERVISOR BILL HORN  
SAN DIEGO COUNTY

7

8 LARRY KRAMER  
ALTERNATE FOR MAYOR SAM ALLEVATO

9 JIM LEACH  
SOUTH ORANGE COUNTY ECONOMIC COALITION

10

11 DR. WILLIAM PARKER  
UNIVERSITY OF CALIFORNIA, IRVINE

12

13 ALSO FROM SOUTHERN CALIFORNIA EDISON:

14 TOM PALMISANO

15 CHRIS THOMPSON

16

17

18

19

20

21

22

23

24

25

1 THURSDAY, MAY 22, 2014, LAGUNA HILLS, CALIFORNIA

2 6:07 P.M.

3 \* \* \*

4 CHAIRMAN VICTOR: Thank you all for joining us this  
5 evening and thank you to Laguna Hills for hosting us  
6 tonight. It's terrific to see many faces we've seen  
7 before and new faces as well. And welcome to the second  
8 meeting of the Community Engagement Panel related to the  
9 decommissioning of the San Onofre Nuclear Generating  
10 Station. My name is David Victor. I'm chairman of this  
11 panel. In a moment I'll introduce the vice chairman and  
12 the secretary of the panel.

13 Let me just remind you that the exits are marked  
14 "exits." The restrooms are out there. If you are  
15 interested in making a comment during the public comment  
16 period which is scheduled for an hour starting at 7:45  
17 tonight, please put your name on the list that you would  
18 have seen as you came in. If you're not on the list,  
19 you could still comment. But if you're on the list,  
20 you'll be earlier in line. And based on the last  
21 meeting, we had certainly a lot of community interest  
22 and a lot of comments. And I look forward to that  
23 segment of our meeting, in particular.

24 As our custom we have several officers from Orange  
25 County Sheriff's Department here with us tonight just to

1 help with security for everyone's own benefits. We will  
2 as our custom make a -- in fact, we're live streaming  
3 right now. We'll make that video available on the  
4 website.

5 And in addition to that we will have a full  
6 transcript of this evening's discussions. For the  
7 benefit of the court reporter who is making the  
8 transcript, I would be grateful if you would identify  
9 yourself when you take the floor, so that she could keep  
10 our records straight.

11 We keep reorganizing the order where everybody is  
12 sitting. Tonight it is, I think, alphabetical by last  
13 name from left to right. And so we'll keep mixing it up  
14 and everyone will have a chance to sit next to somebody  
15 different each time hopefully. We have tonight -- I  
16 want to welcome, Larry Kramer, who is the official  
17 alternate for Mayor Sam Allevato.

18 I also want to welcome Ted Quinn who is joining us  
19 and has been on the panel. And, Ted, it's delightful to  
20 have you here with us tonight. I believe the panel is  
21 full tonight, everybody or every seat is occupied and  
22 that's a terrific sign of the interest in this process  
23 and I think the good work that we've done.

24 I would like to, first of all, introduce Tim  
25 Brown, the mayor of San Clemente who is now vice

1 chairman. He will be serving as vice chairman of the  
2 Community Engagement Panel and Dan Stetson from the  
3 Ocean Institute who will serve as secretary. Tim and I  
4 will share the process and keep us on track  
5 strategically and hopefully responsive to the  
6 community's interests.

7 Dan Stetson is going to play the central role in  
8 making sure that the major topics that are identified at  
9 each of our meetings that they are -- that we keep track  
10 of those and that we do a good job of responding to  
11 topics the community would like us to pay attention to.

12 At our next meeting of the Community Engagement  
13 Panel, Dan will also lead a discussion of what we've  
14 talked about so far, issues that we've resolved, things  
15 that remain open and to help us focus strategically on  
16 how we spend our time going -- going forward.

17 Before we begin the formal part of tonight's  
18 meeting, I would like to see if there are any items that  
19 people would like to discuss in particular as related to  
20 the May 6th workshop that we had on nuclear fuel  
21 disposal and management.

22 We had a terrific workshop. Again, the materials  
23 from that are on the website along with the full video  
24 from that meeting. Several items came up during that  
25 workshop that I know Tom Palmisano from Edison would



1 like to brief us on, so maybe I will give the floor to  
2 you, Tom, first to cover some of the items that came out  
3 of that meeting and areas where we have responses  
4 already.

5 Then I would like to go to several of the members  
6 of the panel who I know would like to make comments on  
7 that workshop and see if anyone else from the panel  
8 would like to make comments on that before we get to the  
9 main part of the meeting.

10 Tom Palmisano.

11 MR. PALMISANO: Thank you. Several items that we  
12 took from the last meeting. One was the question of the  
13 size of the independent spent fuel installation pad. So  
14 I just wanted to come back with the specific data. The  
15 current pad is 313 feet by 175 feet, approximately  
16 55,000 square feet.

17 As we've talked about adding in total  
18 approximately 100 additional dry fuel storage casks,  
19 we've generally talked conceptually about tripling the  
20 size of the pad. So we've got more specific dimensions  
21 depending on exactly which direction we would expand the  
22 pad in.

23 It would expand to approximately either 313 by 355  
24 or 440 by 212 feet. Basically it will wind up being  
25 about a 94,000 to 100,000 square foot pad. So we'll

1 about double in area. I have a slide later in the  
2 presentation which will show this much more clearly. So  
3 that was one of the items that we wanted to talk about.

4 Another question we took away implications if we  
5 went with a 24 assembly canister as opposed to a 32  
6 assembly canister and we'll talk some more about this  
7 during the presentation. Basically it would mean more  
8 canisters.

9 The 32 assembly canister obviously holds more fuel  
10 assemblies, but it doesn't double the -- it's not a  
11 linear change in the amount of space. So if we were to  
12 go with a 30 canister assembly -- I'm sorry. A 32  
13 canister assembly we're in the vicinity of the 94,000  
14 square foot.

15 If we were going to go to a 24 canister assembly,  
16 we would be about 102,000 square foot, so the effect on  
17 the pad size there. We have not completed cost  
18 estimating, so the actual estimates of the cost  
19 difference, we haven't run those numbers yet, and we'll  
20 be developing those numbers down the road as we do the  
21 Decommissioning Cost Estimate.

22 A related question came up about canning the fuel,  
23 and I'll talk a little more about that later. But we  
24 had a question about if we can fuel assemblies. As we  
25 heard I think in the workshop from the AREVA presenter,

1 there's not necessarily a safety benefit to canning  
2 fuel -- canning fuel assemblies that don't need to be  
3 canned.

4 If we were to can all fuel assemblies to be  
5 off-loaded, it's about a \$30 million increase. If we  
6 were to can the high burnup assemblies, it would be  
7 about a \$15 million increase. So those are some of the  
8 preliminary numbers we have based on the questions of  
9 the panel.

10 The -- I think the last question I have was what  
11 fuel handling equipment would remain at the ISFSI after  
12 decommissioning is complete. If you remember when we're  
13 done with decommissioning in 20 years or so when the  
14 plant itself is removed, the NRC license is reduced to  
15 just the ISFSI, we'll have just the ISFSI assembly.

16 We haven't made any final decisions yet currently.  
17 We would not anticipate keeping handling equipment on  
18 site. We would have handling equipment readily  
19 available through a vendor with a contract in the event  
20 we needed to remove a sealed canister from the concrete  
21 module.

22 And that's typically how we would do that as  
23 opposed to keep equipment that would be unused for  
24 years. We would have a vendor who would maintain and  
25 use the equipment and bring a vendor in to provide that

1 on short notice, so that would be the approach we would  
2 take.

3 Again, not a final decision at this point. But  
4 that would be a current plan.

5 David, I think those are the items that I have.

6 CHAIRMAN VICTOR: Great. Thank you very much, Tom.  
7 Let me now give the floor to Bill Parker. You may  
8 recall that at our first meeting of the Community  
9 Engagement Panel that some issues arose about seismic  
10 integrity of the casks in particular.

11 And we were asked to do some calculations to look  
12 at seismic integrity of the casks. And we also obtained  
13 some data about that at the May 6th workshop. I've  
14 asked Bill Parker to do some numbers and put that into  
15 terms that we non-seismologists understand like the  
16 Richter Scale and so on. And, Bill, you've done  
17 terrific work for us on that.

18 Can you give us a brief summary of what you've  
19 learned and then I'm going to circulate to the panel and  
20 also post on the website the more detailed analysis that  
21 you and I have exchanged by e-mail, Bill.

22 MR. PARKER: The Richter Scale is a measure of the  
23 total energy released during an earthquake and is not a  
24 particularly useful number to use in the design of any  
25 structure. What's relevant for the design of the

1 structure is the ground movement.

2 The further you are away from an earthquake  
3 obviously the smaller the ground movement. So the  
4 design criteria of all structures including a nuclear  
5 facility is in terms of ground acceleration. The  
6 acceleration is normally measured as a percentage of the  
7 acceleration due to gravity. So, Tom, you'll correct me  
8 but the generating facility of the reactor is designed  
9 for .67G?

10 MR. PALMISANO: That is correct.

11 MR. PARKER: And the dry cask storage will be  
12 designed for 1.5G?

13 MR. PALMISANO: Yes. In fact, that's the current  
14 design of the current storage installation.

15 MR. PARKER: What do those numbers mean? What does  
16 .67 or 1.5G ground acceleration mean? I took a look at  
17 the large earthquake off the coast of Japan back in  
18 2011, the earthquake that created the tsunami that took  
19 out -- ultimately caused the problems at Fukushima. The  
20 Fukushima reactors are 99 or 100 miles away from the  
21 epicenter of that large Japanese earthquake.

22 There's actually another nuclear facility which  
23 most of us haven't heard about because no damage  
24 occurred which is closer. There is a set of reactors at  
25 the location if I get the -- Onagawa, which is only

1 55 miles away from the epicenter of that large Japanese  
2 earthquake.

3 For comparison, the distance from the San Andreas  
4 Fault to San Onofre is approximately 55 miles. So the  
5 Onagawa reactors in Japan are a much better comparison  
6 to SONGS. The Japanese earthquake was magnitude 9.  
7 That was the largest earthquake recorded in Japan and  
8 the fifth largest recorded anywhere in the world in the  
9 last century.

10 The largest in California are typically 8 on the  
11 Richter Scale. So the earthquake in Japan was one unit  
12 on the Richter Scale which is 30 times the amount of  
13 energy released as anything seen in California. The  
14 Onagawa site experienced .6 ground acceleration. The  
15 maximum that they saw.

16 The design criteria at Onagawa was approximately  
17 .5. So the ground acceleration slightly exceeded the  
18 design criteria. Nevertheless, there was no structural  
19 damage at the Onagawa reactor. The estimate for the  
20 most intense earthquake on the San Andreas is about 8.1.  
21 That's 30 times less than the energy in Japan.

22 So the comparison to Onagawa, I think, is a good  
23 comparison to the maximum earthquake you could imagine  
24 in Southern California at that earthquake in Onagawa  
25 exceeded by a factor of 30 in the amount of energy that

1 you would experience in California.

2 The design criteria of 1.5G for the dry cask  
3 storage strikes me as being extremely conservative given  
4 the worst case experience with earthquakes in the last  
5 century which was the Japanese earthquake and the  
6 reactor at Onagawa. In fact, there are ten or more  
7 safety margin based on that experience.

8 CHAIRMAN VICTOR: Thank you very much. I'm going  
9 to share with the panel and also share with the panel an  
10 additional set of notes from Glen Pascal (phonetic  
11 spelling) from our May 6th workshop. But this topic of  
12 seismic design has come up several times and we were  
13 asked to take a close look at it and we've done it.

14 And, Bill, thank you very much for you help in  
15 doing that.

16 I consider that issue and a lot of things that  
17 keep coming on the agenda. It seems like that's one of  
18 the issues we could take off the agenda for now. I know  
19 Gene Stone would like to comment on the May 6th  
20 workshop.

21 I also want to alert the panel that Larry Rannals  
22 from Camp Pendleton has a small correction to the record  
23 from the May 6th workshop. If anybody else would like  
24 to have the floor to make any comments or corrections  
25 about our records in reporting from the May 6th

1 workshop, if you could just indicate that with your  
2 flag. But right now, Gene Stone, let me give the floor  
3 to you, Gene.

4 MR. STONE: Would it be okay to ask Bill one  
5 question?

6 CHAIRMAN VICTOR: Very, very briefly because I  
7 would like to continue on.

8 MR. STONE: Bill, how far is the Newport-Inglewood  
9 Fault?

10 MR. PARKER: The last earthquake on the  
11 Newport-Inglewood was back in 1933, which I think it was  
12 6.7 or so and that was off the coast of Long Beach  
13 closer than the San Andreas but also a lower potential  
14 earthquake strength.

15 MR. STONE: Thank you. I had a couple of things I  
16 wanted to correct and add to the information from the  
17 May 6th meeting. But first I want to just start off  
18 with some points that I think are very positive. And  
19 one of the areas in which we seem to have agreement and  
20 I see those as four right now.

21 And I say seem to have agreements and that is  
22 number one, everyone seems to be in agreement about the  
23 safest possible storage of the nuclear waste and the  
24 decommissioning process. Number two, there's no  
25 long-term waste dump at San Onofre. Number three is



1 consolidation of California's nuclear waste. Making --  
2 number four, is making the recommendation that the U.S.  
3 Government does its job to store and establish a nuclear  
4 waste repository. So those are the positive things that  
5 I think that we're coming to if not consensus at this  
6 point but coming to strong agreements about.

7 So number one issue is the canning. It does make  
8 it safer because it does not allow the fissile material  
9 to touch each other when and if it gets broken during  
10 the transportation. So that's very important to  
11 remember. And part B of that is that the NRC has been  
12 talking about the possible canning of all high burnup  
13 fuel.

14 And I don't believe they've made a decision on  
15 that as of yet. AREVA says that the new technology of  
16 the 32 cask system just works better. But that's not  
17 much of an answer and there's no proof in that. So I  
18 did ask Michael to send me some documentation that we  
19 could have Marvin Resinkoff check the numbers on, which  
20 I have not received at this point.

21 He did send a chart last night, but it's more of a  
22 chart of what they think it will do without any of the  
23 ecalculations to check on that. Number three, is the  
24 NRC on June 29th is that -- is asking AREVA why they  
25 have two definitions for damaged spent fuel. I'd like to

1 know the answer to that as well.

2 The NRC seems to be questioning the fact that they  
3 changed the definition of damaged spent fuel. And I'm  
4 not sure under these conditions that you could even  
5 store damaged spent fuel in AREVA's 32 cask system. So I  
6 would like to initiate a study by Marvin Resinkoff on  
7 the figures, the calculations of the heat load because  
8 we know that the heat load in the high burnup fuel is  
9 considerably higher.

10 There just seems to be -- before we move forward  
11 at a later date on the dry cask issue that there is many  
12 questions and I hope that we could get AREVA back here  
13 again to discuss the 32 cask system. Thank you.

14 CHAIRMAN VICTOR: Thank you very much. I think --  
15 if I could just push back a little bit. I think there  
16 is agreement that it would be important to have some  
17 mechanism for consolidating waste away from plants that  
18 are shut like San Onofre.

19 Whether that's a California solution or a Western  
20 State solution or something like that I think remains  
21 open and I think there are actually some important legal  
22 and technical reasons why it might not be done best in  
23 California.

24 But in any case, I think there's agreement that we  
25 need to look at a variety of other strategies, and I'll

1 talk more about that near the end of this meeting. I  
2 plan to personally oversee this process of the  
3 calculations related to canning and high burnup fuel and  
4 so on and the back and forth between the vendors and a  
5 variety of other technical points of view.

6 Because I think one thing that is very clear from  
7 the May 6th workshop and I urge people who were not  
8 there to look at the video from that because I thought  
9 that was an extremely informative workshop. There's a  
10 variety points of view about this issue of canning,  
11 about high burnup fuel, some new studies that will be  
12 coming out this summer about the integrity of the --  
13 what's called the cladding around high burnup fuel.

14 And I think we need to be mindful of all things  
15 but we also need to be mindful of them in a way that  
16 does not generate paralysis around getting the fuel out  
17 of the ponds and into casks because that is really very,  
18 very important.

19 Let me see if there are any other comments that  
20 people want to make about the May 6th workshop or  
21 corrections to the record from that workshop before we  
22 move on to the main part of our meeting today. And I  
23 don't see any.

24 Let me give the floor now to Chris Thompson, who  
25 is going to talk about decommissioning and core

1 principles and values and comments and feedback that  
2 have come from the CEP. Chris Thompson, the floor is  
3 yours.

4 MR. THOMPSON: Thank you, David. Thank you  
5 everybody for being here, the panel members, the public.  
6 A couple of quick things. One is I wanted to take the  
7 opportunity to remind everybody something that was  
8 mentioned at the first panel meeting which is the three  
9 guiding principles that Southern California Edison has  
10 issued that will guide us through this process: Safety,  
11 stewardship, and engagement.

12 The safety as Gene mentioned is paramount. And  
13 safety of three things: The employees who are doing the  
14 work of decommissioning the facility, the local  
15 communities who live -- who surround the facility and  
16 the natural environment.

17 I had mentioned stewardship previously and  
18 something Tom mentioned -- touched on that. Which is we  
19 have a duty to our customers who have contributed to a  
20 decommissioning trust fund over the past 30 or so years  
21 to fund the decommissioning. We have a duty to them to  
22 conduct this work in the most cost-effective way  
23 possible while still mindful of safety and putting  
24 safety first.

25 At the end of this process when it's complete, we

1 will be refunding any leftover money in the trust fund  
2 to our customers. So I just wanted to remind everybody  
3 that cost is something we have to pay attention to. And  
4 the third is engagement. And I think this meeting  
5 continues to embody the notion of engagement.

6 This is our second regular meeting. As David  
7 mentioned we had a very interesting workshop on May 6th  
8 which lays out the manner in which it's our intention to  
9 do this. At the first meeting we committed to the panel  
10 that the panel would have the opportunity for input on  
11 the major regulatory filings.

12 The first filing that is being reviewed by the  
13 panel is the Irradiated Fuel Management Plan, which the  
14 panel members have had a draft copy of for about a week  
15 prior to this meeting. The intention is to have a  
16 workshop with experts who can present facts on these  
17 issues, educate the panel, and then have the panel  
18 review the regulatory filing.

19 I agree with David that the May 6th meeting was  
20 extremely informative. I hope the panel and the public  
21 found it so. There were four very prominent experts in  
22 the field. Per Peterson a professor of nuclear  
23 engineering at Berkeley and a member of the President's  
24 Blue Ribbon Commission on America's Nuclear Future.

25 Marvin Resinkoff at Gene's request, a senior

1 associate at Radioactive Waste Management Associates.  
2 Mike McMahon who is the senior vice president at AREVA,  
3 which is the manufacturer of the dry storage cask  
4 currently on the site. And Drew Barto (phonetic  
5 spelling) who is a senior engineer in the division of  
6 spent fuel storage and transportation.

7 So tonight we'll walk through the draft of the  
8 Irradiated Fuel Management Plan. Tom Palmisano will  
9 lead us through that. It is our intention we have in  
10 our supporting role to capture the comments that are  
11 made by the panel members, capture the feedback that we  
12 receive on the draft plan.

13 If panel members have additional feedback or  
14 thoughts that they want to provide, Dan Stetson in his  
15 role as secretary of the Community Engagement Panel will  
16 collect those items of feedback, convey them to us. Two  
17 weeks -- our thought is two weeks after today's meeting,  
18 any thoughts from the panel to be provided to Dan who  
19 will provide them to us.

20 We will take that feedback and review all of the  
21 suggestions we get closely, incorporate appropriate  
22 changes to the Irradiated Fuel Management Plan as we  
23 finalize it, and let the panel know what we did and why.  
24 You know, whatever the list of feedback we get is we  
25 will let you know if a change was made to the plan in

1     accordance with that feedback or not.  And if not, why  
2     not.  So that is what we're going to commit to do with  
3     the panel.  And that's all I have to say.

4             Thank you, David.

5             CHAIRMAN VICTOR:  Thank you very much, Chris.  So  
6     let's move on now to the main part of our -- main parts  
7     of our meeting.  We have three major things we want to  
8     achieve tonight.  First at our last meeting several  
9     members were keen that we get an update on the  
10    decommissioning timeline, in particular the areas where  
11    there is flexibility or uncertainty about that timeline.  
12    So that will be the first of our three major pieces of  
13    business.

14            Second is we will be talking about the Irradiated  
15    Fuel Management Plan as Chris just indicated.  And then  
16    third after a short break we'll have a public comment  
17    period.  So let's go now to talk about the  
18    decommissioning timeline.

19            Tom Palmisano, the floor is yours.

20            MR. PALMISANO:  Can you hear me okay?  Thank you,  
21    David.  Can we have the slide back up, please.  Thank  
22    you.  Again, good evening.  Thank you for joining us  
23    tonight.  I'm Tom Palmisano the vice president and chief  
24    nuclear officer at the San Onofre Nuclear Plant.

25            So what I'm going to do over the next 45 minutes

1 or so is take us through review of the timeline, keep  
2 the panel and the public up to date on where we are in  
3 the process, and then review the Irradiated Fuel  
4 Management Plan and then we'll talk about some of the  
5 subsequent decisions we'll be making down the road  
6 related to spent fuel storage.

7 And, again, for the panel, I would urge if you  
8 have questions as I go, please ask them. We'll have a  
9 much more interactive session. Thank you.

10 Just to reiterate the principles. Chris has  
11 talked about safety, stewardship, and engagement. We've  
12 covered these, and we will continue to cover these and  
13 we do this internally with our folks as well as  
14 externally to ensure that we live our principles.

15 I'll talk about the decommissioning timeline and  
16 then we'll talk about spent fuel storage, kind of a  
17 recap of our situation for some members of the public  
18 who weren't at the first meeting or the workshop and to  
19 keep the panel up to date. And then we'll talk about  
20 the Irradiated Fuel Management Plan and future decisions  
21 that we will need to make.

22 Real quickly, just a refresher of where we are on  
23 the decommissioning process. The NRC requires the plant  
24 to be decommissioned in a 60-year timeline. It's broken  
25 into three phases. The decommissioning planning phase



1 on the left of the slide is intended to be a two-year  
2 phase.

3 So we entered that on June 2013. We need to be  
4 complete with our planning, all of our submittals into  
5 the NRC, and accepted by them June 2015, so we're in the  
6 middle of that first two-year phase. We're not  
7 authorized to do any major decommissioning, meaning I  
8 can't take the reactor vessel out or I can't take the  
9 highly irradiated components out.

10 The second phase is a long phase. It's a variable  
11 time where the major decommissioning and dismantlement  
12 occurs. Some plants in the country go to an extended  
13 safe period and decommissioned towards the end of  
14 60 years. We're going to go relatively quickly into the  
15 dismantlement phase.

16 And then the last phase is two years preceding the  
17 end of that 60 years or earlier you enter a formal  
18 license termination process with the NRC which includes  
19 public comment, the opportunity for hearings where you  
20 actually demonstrate that you've, you know, dismantled  
21 the site, remediated the radiological conditions, and  
22 met cleanup criteria that are part of the license  
23 termination plan.

24 So at a high level that's the timeline. So where  
25 are we? We've committed to a 20 year or less plan.

1 Now, this is preliminary. We will finalize it as we  
2 make our submittals in the third quarter of 2014. And  
3 this is some of the things we look for public input on  
4 and particularly through the panel.

5 The time that's -- this is not to scale on top.  
6 This bold vertical line is the first two years and the  
7 rest is the remainder of the 58 years. As you could  
8 imagine we're focused on the initial activities at the  
9 site in the planning. So real quickly what's called  
10 physical plant changes, these are not specific  
11 decommissioning activities.

12 These are configuring the plants for  
13 decommissioning. So both units have been defueled.  
14 That would be part of these physical plant changes. All  
15 the fuel has been transferred in the spent fuel pool.  
16 We've certified we defueled the plants. We are busy  
17 draining systems. Shipping off-site low level radwaste  
18 for disposal.

19 We're preparing to deenergize unnecessary equipment  
20 at the plant to prepare the plant for the major  
21 dismantlement phase. So that collection of activities  
22 is called what I call physical plant changes in my  
23 simple chart here. The next phase, licensing  
24 submittals. These are not the three decommissioning  
25 submittals. That's coming up. These are the defueled

1 technical specifications.

2           These are an attachment to the license. We still  
3 hold an NRC license. We're licensed to possess special  
4 nuclear material, not to operate the plants. But I  
5 still live by a set of rules the government approves.  
6 These are my technical specifications. There's a  
7 revised set that I need -- that I have submitted that  
8 matches the defueled condition of the plant.

9           Much of the safety equipment that was designed to  
10 mitigate conditions in the reactors are no longer  
11 applicable because the reactors are permanently  
12 defueled. So that submittal has been made as well as a  
13 submittal for the Defueled Emergency Plan. With the  
14 plant permanently decommissioned and none of the fuel  
15 has been operated since the end of January 2012, a good  
16 bit of decay has already occurred.

17           So it allows us to propose changes to the off-site  
18 portion of the emergency plan. Those changes are  
19 proposed. They must be reviewed and approved by the NRC  
20 that is nominally a 12- to 18-month process, we've made  
21 those submittals at the end of March. And we said at  
22 the last panel meeting that was our schedule.

23           So those two submittals have been made, and they  
24 both take a year or more NRC review and approval  
25 process. Now, here are the decommissioning submittals

1 and I've highlighted in yellow the Irradiated Fuel  
2 Management Plan. These are three submittals unique to  
3 decommission. And I'll talk more on the next page.

4 Our goal is to submit all of them at the end of  
5 the second to early third quarter. Practically we're  
6 looking at -- I'm sorry. The submittals third quarter  
7 in 2014. I'm anticipating having everything finally  
8 approved in early 2015. That gives the NRC some time to  
9 review and approve it. And then down here is the dry  
10 fuel storage installation.

11 This is largely what we're going to talk about  
12 tonight and the subject of the workshop. This shows dry  
13 fuel storage engineering and procurement, expanding the  
14 dry fuel storage pad, fabricating canisters, and then  
15 ultimately off-loading the spent fuel out of the pools  
16 starting somewhere as early as the fourth quarter 2015,  
17 early 2016 with a goal to be done by the end of 2019.

18 Some of the feedback we've heard not just from  
19 panel members but other members of the public and other  
20 stakeholders is they would like to see us off-load the  
21 fuel pools earlier rather than later. So we are  
22 preparing a preliminary plan to do that and reviewing  
23 that with the panel. And that's what we will be  
24 finalizing through the course of the summer.

25 So let me ask questions from the panel on the

1 timeline in terms of where we are. Yes, sir.

2 MR. PARKER: You mentioned somewhere in that  
3 60-year period the NRC -- you go into a very reduced  
4 level of licensing or perhaps no licensing at all.

5 MR. PALMISANO: Right.

6 MR. PARKER: Assuming that the spent fuel remains  
7 in dry cask storage past that time, is there an NRC  
8 rule -- role in regulating how those dry casks are  
9 maintained and monitored and so on?

10 MR. PALMISANO: Yes, there is.

11 MR. PARKER: So the NRC doesn't -- isn't removed  
12 from the picture?

13 MR. PALMISANO: No. In fact, as long as the ISFSI  
14 is here, we will still have an NRC license. What  
15 happens in license termination it's a misnomer. This  
16 terminology came up when we thought fuel would be  
17 shipped off-site.

18 So what happens today, the NRC when we remediate  
19 the site radiologically, the license will be reduced not  
20 terminated and it will exist for the independent spent  
21 fuel storage installation. We will be subject to NRC  
22 review, inspection, and monitoring for the entire time  
23 the ISFSI is there.

24 Then when the ISFSI is some day removed when the  
25 DOE performs and picks up the fuel, the ISFSI itself

1 will be decommissioned and we will go through yet  
2 another license termination process.

3 MR. PARKER: You will tell us what that word you  
4 used means, ISFSI.

5 MR. PALMISANO: ISFSI, Independent Spent Fuel  
6 Storage Installation.

7 MR. PARKER: Thank you.

8 CHAIRMAN VICTOR: This is the pad where the spent  
9 fuel is sitting, or the casks are sitting. Could I  
10 ask -- make one comment and ask two questions?

11 MR. PALMISANO: Sure.

12 CHAIRMAN VICTOR: The comment I would like to make  
13 is 60 years sounds like a long time, but I think one  
14 thing that is striking from this chart is that we're  
15 actually talking about getting the vast majority of this  
16 work done in a much briefer period of time.

17 Mainly moving the fuel out of the ponds in a  
18 period of a few years and then having the bulk of the  
19 decontamination and dismantlement done over a period of  
20 ten years or so. So I think just to kind of keep these  
21 numbers in perspective. 60 years is the kind of length  
22 of what is feasible I guess from a regulatory point of  
23 view.

24 MR. PALMISANO: It's allowable.

25 CHAIRMAN VICTOR: It's allowable. But I don't

1 think anybody who's sane would do that. And you guys  
2 certainly are moving this as quickly as you can and I  
3 think that makes a lot of sense. Questions I have are  
4 closely related.

5 The first one is, you mentioned a series of  
6 reviews by the NRC. How routine is that? Do we know  
7 roughly how long that process is going to take or is  
8 there big uncertainties about that? And second one  
9 related is where do you see the major uncertainties in  
10 the timeline?

11 MR. PALMISANO: Thank you for that reminder. So  
12 let's talk about NRC reviews. First, the license  
13 submittals. These are submittals for the defueled  
14 technical specifications and the defueled emergency  
15 plans.

16 This actually is a modification to our license.  
17 So this is nominally a minimum of a 12-month period  
18 typically for a change of this size, sometimes 18  
19 months. So it's a well-defined NRC process. They  
20 process hundreds of license amendments a year for all  
21 the licensees. It's a well-defined process.

22 And a change of the magnitude that we're  
23 proposing and many other plants have proposed changes.  
24 A lot of plants revise their licenses periodically. 12  
25 to 18 months is a realistic time frame to expect them to

1 complete and approve the license amendment. Now, the  
2 decommissioning submittals themselves are not license  
3 amendments because they don't modify the license.

4 And as we start getting into these, these are  
5 documents that are used to describe the plan for  
6 decommissioning and describe the funding assurance  
7 related to decommission. So, for example, the  
8 Irradiated Fuel Management Plan -- in fact, let me go to  
9 the next slide here.

10 The Irradiated Fuel Management Plan we're going to  
11 spend sometime talking about. This one they will  
12 actually review and approve with a safety evaluation.  
13 In looking at the other plants that have done these and  
14 all plants -- it's interesting this is required for any  
15 power plant five years before they plan to cease  
16 operation.

17 Now, we never got that close unfortunately. And  
18 it's required for a decommissioning plant within two  
19 years after you cease operation. So almost every plant  
20 in the county has already submitted one of these. Just  
21 a plant like us we were going to submit in 2017 to meet  
22 the requirements. This is something that typically  
23 takes on the order of three to six months.

24 And you've seen the draft that I'm going to take  
25 you through. It's not a technical document. It's



1 really to describe your plan and your funding. The  
2 Post-Shutdown Decommissioning Activities Report, this is  
3 one that describes your plan for decommissioning and  
4 summarizes your Spent Fuel Management Plan, summarizes  
5 your Decommissioning Cost Estimate.

6 This plan is required to be submitted to the NRC,  
7 and the NRC takes 90 days to review and accept it. They  
8 don't approve it per se like they would a license  
9 amendment, but they will ask us questions and they do  
10 hold a public meeting in the vicinity of the plant to  
11 explain the plan to the public.

12 CHAIRMAN VICTOR: So I mean, it sounds like all  
13 these things are routine enough. Where do you see the  
14 major uncertainties then in the timeline? Maybe there  
15 aren't uncertainties.

16 MR. PALMISANO: No. There are uncertainties,  
17 certainly. An uncertainty that is under our control is  
18 just the pace of deenergizing the plant. There is  
19 adequate time. My goal is to be deenergized by January  
20 2016. That's an uncertainty that really is in our hands  
21 and it's just a matter of planning and executing the  
22 work.

23 Some uncertainty in the licensing submittals, the  
24 Defueled Emergency Plan will certainly get some  
25 attention. There's certainly been some letters recently

1 from Senator Boxer and other senators questioning or  
2 urging the NRC not to approve changes in emergency plans  
3 for decommissioning plants.

4 They've typically been approved and there is good  
5 technical and safety basis for it. But I think this  
6 will generate some pause on the NRC commission's part.  
7 And embedded in that plan are actually two license  
8 amendments and a list of exemptions request. And the  
9 exemptions have to go to the NRC commission for a  
10 decision.

11 So I think there is a fair amount of uncertainty  
12 as to whether that's going to be a 12-month or an  
13 18-month timeline. So I think there is uncertainty  
14 there. There's much less uncertainty on the  
15 decommissioning submittals because they really aren't a  
16 technical or a safety issue.

17 So I don't see a lot of uncertainty there. Where  
18 I would say some uncertainty exists in my mind is panel  
19 comments. Since the panel this is only our second full  
20 meeting. We've had one workshop. We're in the process  
21 of defining -- the panel's defining how they interact,  
22 what their key questions are, what questions they're  
23 going to pose to us, what our responses are going to be.

24 So in my mind as I look at being ready to submit  
25 these in the third quarter one uncertainty is working

1 through the panel so we do a good job giving you the  
2 information you need. You have time to digest us and  
3 give us comments, and we'll respond to them. So a bit  
4 of uncertainty in my mind there. And then down on the  
5 dry fuel storage situation there is a lot of experience  
6 in the country as well as San Onofre on dry fuel.

7 It's a matter of once we make the decision on the  
8 technology, I think the schedule for that is fairly  
9 straightforward. So I would say the uncertainty is in  
10 the licensing submittals and, you know, just, you know,  
11 the comment period with the panel.

12 MR. STONE: Tom, I have an uncertainty that I would  
13 like to talk about. And that is you and I had a meeting  
14 and we were talking about how Edison figures the heat  
15 load of the material that's in the fuel pool. So how  
16 many years it stays in, how long it cools, who does  
17 those calculations?

18 Now, apparently -- I want to make sure I have this  
19 straight from what you told me the other day. Edison  
20 doesn't do those figures. These figures have been done  
21 at the national labs about cooling rates for  
22 radioactivity; is that correct? And that you don't have  
23 the ability to take the temperature of the fuel rod when  
24 you pull it out?

25 MR. PALMISANO: Well, Gene, I think you're mixing a

1 variety of things. We certainly know the heat load in  
2 our pool. We know our fuel assemblies. We know our  
3 current license cask design.

4 MR. STONE: But my point is that's by some chart,  
5 some calculation that's been done somewhere else instead  
6 of taken --

7 MR. PALMISANO: When the cask was designed and  
8 licensed, the vender provides a table that gives us an  
9 enrichment and burnup, you know, and, therefore, heat  
10 loads. So we use that and we apply that we review it  
11 and we have our vendors do calculations, Gene.

12 MR. STONE: So my point is that --

13 MR. PALMISANO: The specific question you asked me  
14 is could we pull a fuel rod and measure a fuel rod. We  
15 don't do that, Gene.

16 MR. STONE: Right. I understand that.

17 MR. PALMISANO: That's the question you asked me  
18 first, so let's be clear.

19 MR. STONE: Yes. But the reason I'm asking you  
20 that is because that heat load, the temperature in that  
21 fuel rod is so important to taking it out of the fuel  
22 rod and storing it. Now I understand. I've seen the  
23 information of the amount of heat load that the new 32  
24 cask can take.

25 But my point is cooling can take longer and the

1 NRC doesn't seem to be -- have a consensus about the  
2 best timing for that. And I understand that you are  
3 telling me six to seven years or five?

4 CHAIRMAN VICTOR: Let me suggest that this question  
5 which does turn on some important calculations that we  
6 put this question together in the form of a formal  
7 query. I will also share that with the NRC.

8 The NRC has asked me to visit in the middle of  
9 July to talk about a variety of issues and so I'll share  
10 that with them and also with the cask vendors and we'll  
11 get answers to all of this. Because I think the  
12 technical details matter here. And maybe instead of  
13 going back and forth with the technical details in this  
14 setting. We'll get all that information and we'll  
15 circulate it to the CEP and to the public.

16 MR. PALMISANO: That's good because the technical  
17 details exist.

18 MR. GARRY BROWN: I have a question of general  
19 nature. On this timeline a lot of approval process you  
20 have a submission and then the agency, in this case, NRC  
21 has to review and approve or adopt.

22 MR. PALMISANO: Right.

23 MR. GARRY BROWN: Is this totally driven by  
24 submission date? You're in compliance if you submit a  
25 plan on the date it's supposed to or is there anything

1 about what if it takes them a year to approve it and  
2 review it?

3 MR. PALMISANO: The three that are driven by a date  
4 are the three decommissioning submittals. I must submit  
5 those within two years of the decision.

6 MR. GARRY BROWN: As long as you hit that date,  
7 you're in compliance?

8 MR. PALMISANO: Yeah. If they take more time than  
9 that, I'm in compliance. And, you know, quite frankly,  
10 that's not going to be a problem to get those submitted.  
11 And if they take more time, that's on their nickel and  
12 we're okay, if that's the question.

13 MR. QUINN: I really just want to bring up this  
14 point. San Onofre unit 1 has been decommissioned. It's  
15 the only unit in the nation that was decommissioned  
16 while there was operating units still on the site.  
17 Could you describe if there is lessons learned that we  
18 have from the unit 1 decommissioning timeline that  
19 apply to this because I understand unit 1 was very  
20 successful.

21 CHAIRMAN VICTOR: For the record, that's Ted Quinn.  
22 And maybe answer that briefly because we're going to  
23 move on to the next segment.

24 MR. PALMISANO: Yeah. Let me be brief, and I'll be  
25 glad to come back in and talk in more lengths. Because

1 we are scrubbing our unit 1 experience because we have  
2 been very successful like you said, Ted. It's the only  
3 unit to be decommissioned while two other units operated  
4 on site.

5 And so the lessons we're taking we entered safe  
6 store for a period for, I want to say -- I wasn't on  
7 site at the time -- on the order of almost 10 years  
8 before we started the dismantlement phase. So we had  
9 adequate time in safe store, selected the dry fuel.  
10 Took care of that. Then the dismantlement itself went  
11 pretty effectively given we had two operating units.

12 So the lessons we're looking at in terms of how  
13 effective we plan for that activity, the staffing, how  
14 we manage the contractor. So we're taking those lessons  
15 as well as our lessons with some of the state  
16 permitting, decisions on leaving the conduits in place  
17 which is more environmentally beneficial than removing  
18 them.

19 So we're factoring that into the planning. Okay.  
20 Now, and unit 2 and 3 will be a little different because  
21 we're removing the entire site.

22 CHAIRMAN VICTOR: Anything else before we move on?

23 MR. PALMISANO: So the submittals -- I'm going to  
24 talk about real quickly Irradiated Fuel Management Plan,  
25 so let me skip that. Post-Shutdown Decommissioning

1 Activities Report. A summary level document as we  
2 prepare for the discussion with the panel. I shared a  
3 couple of other units' irradiated fuel plans will do the  
4 same with the Post-Shutdown Decommissioning Activities  
5 Report.

6 Site specific decommissioning and cost estimate.  
7 This is really the document that really analyzes the  
8 cost and feeds the other documents in terms of the costs  
9 of the decommissioning. The emergency plan I've already  
10 discussed and the defuel tech specs where we are today  
11 we're talking Irradiated Fuel Management Plan and as  
12 Chris said looking for your feedback.

13 We are preparing for this summer working on dates  
14 with David and the panel to review the drafts of the  
15 Decommissioning Activities Report and Decommissioning  
16 Cost Estimate with our target date for me to submit to  
17 the NRC in the third quarter. We've already submitted  
18 these two and they are at the early phase of the 12- to  
19 18-month NRC review and approval process.

20 So with that I'm going to move on and recap the  
21 spent fuel storage situation and then we'll move into  
22 the Irradiated Fuel Management Plan.

23 CHAIRMAN VICTOR: Great. Thank you.

24 MR. PALMISANO: So several of you have seen this  
25 slide before. Certainly the panel has seen it twice.



1 Very quickly what is on site down in the lower left here  
2 is what's on the existing dry fuel storage pad. There  
3 are 50 canisters loaded with unit 1 fuel, unit 2 fuel,  
4 unit 3 fuel.

5 1,187 fuel assemblies, which include eight high  
6 burnup assemblies. What is in the two spent fuel pools,  
7 unit 2 and 3. 2,668 assemblies. Roughly a 50/50 split.  
8 In the workshop we had the specific numbers. So what  
9 needs to happen with those, they need to be moved to the  
10 dry fuel storage system.

11 It will take approximately 100 canisters. That's  
12 approximate because our plans have not been finalized.  
13 We have not selected the final canister size we're going  
14 to use. So right now a number of 100 is based on a 32  
15 assembly canister.

16 Again, not a final decision. And 1,115 of those  
17 are high burnup fuel assemblies. And we discussed that  
18 quite a bit at the workshop. And then ultimately at the  
19 end of the day when the Department of Energy performs,  
20 they will remove 3,855 fuel assemblies that will be in  
21 approximately 150 canisters. And these canisters are  
22 licensed and the new ones will be licensed for storage  
23 and transport. So recap.

24 We talked about this already. Kind of give you  
25 the breakdown. Here's a more specific breakdown of the

1 high burnup assemblies, eight in the dry cask system  
2 today. In unit 2 we have 570 and unit 3 545 in the  
3 spent fuel pools. For those of you that have not seen  
4 it before, this is a picture of one fuel assembly being  
5 handled under water in a spent fuel pool.

6 This is a picture of a cask and actually the  
7 canister is inside the cask. You see this is a transfer  
8 cask. This is after a canister has been loaded with a  
9 number of fuel assemblies, welded shut, evacuated,  
10 dried, and filled with a helium cover gas and then ready  
11 to move to a storage location. This is actually a  
12 picture of the SONGS site.

13 We use a horizontal storage system currently.  
14 Inside this transfer cask is a steel canister which is  
15 then inserted into this heavily shield concrete module  
16 and then a shield cover is put on there and you could  
17 see this is the actual picture at SONGS with the  
18 canisters that are currently loaded.

19 Looking at unit 2 and unit 3, this is the old unit  
20 1 location that has been decommissioned and removed and  
21 this is the area where the current independent spent  
22 fuel storage installation is.

23 MR. STONE: Tom -- this is Gene. What is the  
24 official status with the decommissioning of unit 1  
25 because part of it is on site --

1 MR. PALMISANO: It's not complete.

2 MR. STONE: So it's not complete.

3 MR. PALMISANO: Yeah. It's partially  
4 decommissioned. As I said, the fuel is off-loaded, the  
5 physical plant above ground is removed but some of the  
6 substructures remain in place and the plan has always  
7 been to remove those when units 2 and 3 are  
8 decommissioned.

9 MR. STONE: Right.

10 MR. PALMISANO: And so we have not gone through the  
11 license termination on unit 1. So with that recap of  
12 the spent fuel storage situation I want to move on and  
13 talk about the Irradiated Fuel Management Plan. Now, we  
14 sent this to the panel as a preread.

15 We also sent copies of the Kewaunee and Crystal  
16 River plan which have already been submitted. So I'm  
17 just going to take you through it in outline level. So  
18 the requirement for the Irradiated Fuel Management Plan  
19 is out of Title 10 of the Code of Federal Regulations  
20 part 50.54 paragraph double Bravo.

21 And I've extracted this to state the pertinent  
22 requirement. So the licensee shall, within two years  
23 following permanent cessation of operation of the  
24 reactor submit written notification for review and  
25 preliminary approval of the program by which the

1 licensee intends to manage and provide funding for the  
2 management of all irradiated fuel at the reactor.

3           Until title of the fuel and possession is  
4 transferred to the Secretary of Energy. That is the  
5 basic requirement for the plan. So our Irradiated Fuel  
6 Management Plan, the program is basically move spent  
7 fuel from the spent fuel pools currently in wet storage  
8 to the independent spent fuel storage installation.

9           The NRC reviews in accordance with its standard  
10 process, they review it for completeness, which means  
11 what they would call an acceptance review to say it  
12 doesn't meet the requirement to be reviewed. They then  
13 do a technical review, a safety -- and write a safety  
14 evaluation report.

15           What we found is unlike some other documents if  
16 you look at other types of things in the industry that  
17 are required to be submitted to the NRC this one is a  
18 fairly high-level document. The NRC doesn't have a  
19 specific format or standard content guidance as opposed  
20 to let's say the license amendments for the emergency  
21 plan are very prescriptive about what needs to be in  
22 there, what needs to be addressed, what needs to be  
23 explained.

24           So what we did, as I said, every plant in the  
25 county has to file one of these either five years before

1 they cease operating or within the two years after they  
2 cease operating. So there were many examples and many  
3 examples the NRC have reviewed and approved. So we've  
4 pulled the ones -- we pulled virtually every one of the  
5 last decade to review it for content, level of detail,  
6 and reviewed the NRC questions that were asked.  
7 Specifically we looked at Kewaunee and Crystal River who  
8 shut down in this last year or two and have already  
9 submitted these documents.

10 We also looked at Zion, which closed in the late  
11 '90s outside of Chicago but is currently in the  
12 dismantlement phase. So based on that the key points.  
13 So we described the 2,668 fuel assemblies currently in  
14 the spent fuel pool to be transferred to the ISFSI by  
15 2019. We also described the fuel that's already on the  
16 ISFSI pad since that has to be described in terms of  
17 management funding.

18 We have to explain the dates by which we assume  
19 the Department of Energy will start taking fuel. So the  
20 latest information we have from the Department of  
21 Energy, and I won't comment on how likely it is, assumes  
22 the Department of Energy starts a pilot facility in the  
23 2021 to 2024 time period and that for in our case that  
24 they would remove all of our fuel by 2049.

25 CHAIRMAN VICTOR: This is just -- let me interrupt.

1 This is just a procedural requirement.

2 MR. PALMISANO: Right.

3 CHAIRMAN VICTOR: And it's shown in table 3 of the  
4 plan that you circulated in the draft. But it doesn't  
5 have a material impact on your selection of casks or  
6 anything like that. In fact, one of the things we  
7 learned from the May 6th workshop is that while the  
8 casks are licensed for a 20-year period, they are  
9 designed for the constant --

10 MR. PALMISANO: Much longer.

11 CHAIRMAN VICTOR: Regular renewal and their  
12 physical length -- their physical lifetime is  
13 essentially much, much longer.

14 MR. PALMISANO: That's correct. This is just  
15 something really to lay out a timeline to propose  
16 funding and show that funding is adequate. The other  
17 thing -- the next bullet will show adequacy of existing  
18 funds to cover all aspects of decommissioning including  
19 the cost of irradiated fuel management.

20 It's a living document. This document will be  
21 updated several times especially as the DOE timeline  
22 plays out and we continue to look at funding adequacy as  
23 we go forward. We certainly will update it as we  
24 complete off-loading the pools to update the plan to  
25 note that spent fuel management is now focused on the

1 dry fuel storage installation.

2 And then as part of this we do explain that as  
3 part of the decommissioning process the spent fuel pool  
4 cooling systems will be changed. We will be  
5 decommissioning and dismantling the normal cooling  
6 systems so we'll put in stand-alone cooling and  
7 filtration units which is typically known as a spent  
8 fuel pool island.

9 In other words, you build a special system just to  
10 cool the spent fuel pools with the appropriate reliable  
11 power supplies that is just dedicated to cooling spent  
12 fuel pool so as you dismantle the power plant you  
13 eliminate the risk of disrupting spent fuel pool  
14 cooling. So that's known as spent fuel pool islanding  
15 and our plan discusses that.

16 CHAIRMAN VICTOR: And it is your view that that is  
17 safer than keeping the current arrangements for  
18 basically moving sea water in and out?

19 MR. PALMISANO: Well, a couple of comments.  
20 Certainly from the ability to cool the fuel it is  
21 certainly as safe as the normal installed systems. When  
22 I look at the risk of what could happen in a plant that  
23 is no longer operated, today's systems require salt  
24 water cooling pumps pumping water to an intermediate  
25 cooling system which then cools spent fuel pool cooling.

1           It's fairly complex. It requires a good bit of  
2 the installed plant electric equipment to stay energized  
3 but lightly loaded which becomes a bigger problem over  
4 time to start failing and faulting. So by putting in a  
5 dedicated cooling system, I could assure, quite frankly,  
6 a higher level of reliability and there is a link to  
7 safety in that sense because I could isolate it, protect  
8 it, a higher level of reliability than leaving a system  
9 distributed built for an operating plant. So it makes a  
10 lot of sense for a variety of reasons.

11           CHAIRMAN VICTOR: And has the reliability been  
12 analyzed -- the case logically makes a lot of sense to  
13 me. Has this actually been analyzed? Is there a way  
14 for us to look at that? It seems like that's an  
15 important assumption built in here.

16           MR. PALMISANO: I would have to check. You know,  
17 about half the decommissioning plants have done this.  
18 But these are only in service for about four to five  
19 years. So it's not like you've got a 20 year -- or 10,  
20 20, or 30 year reliability history.

21           These are fairly short-term systems that are in  
22 service compared to say a 40-year life of a plant. So I  
23 don't know that those kinds of reliability studies have  
24 been done. We could take that for action and certainly  
25 get some information of plants that have done it. I



1 tell you personally I did this -- I managed the  
2 Palisades plant in 1990, an operating nuclear plant  
3 single unit.

4 Operating plants do this for maintenance reasons  
5 every five to ten years in an outage when you've got to  
6 take your normal cooling system out. You put in these  
7 alternate cooling systems. I've had direct experience  
8 with that and you engineer them and design them to  
9 assure the reliability that you need.

10 CHAIRMAN VICTOR: Thank you.

11 MR. PALMISANO: So the NRC review criteria. So I  
12 told you there's not a lot of specific content or format  
13 guidance. So what we did, the NRC does write a safety  
14 evaluation report on every one that they approve and  
15 these are public documents, so we extracted again  
16 virtually every one that's been approved.

17 These are the questions and the NRC is very clear  
18 in their safety evaluation reports these are the  
19 questions they evaluate so beyond just looking at the  
20 description of the plan and how spent fuel is going to  
21 be managed, they really focused on demonstrating  
22 adequate funding.

23 Estimated costs to isolate the fuel pool, this is  
24 the spent fuel pool island I discussed. Fuel handling  
25 systems or the cost to construct an ISFSI or the

1 combination of wet and dry storage. Annual cost of  
2 operation of the selected option until DOE takes  
3 possession.

4 Estimated cost of preparation, packaging, and  
5 shipping to DOE. Estimated cost to then decommission  
6 the spent fuel storage facility at the end of that  
7 period when the fuel is removed from that site. Then a  
8 brief discussion of these areas and the estimated times.  
9 So they want us to explain the plan, what the timeline  
10 looked like, what the funding is, what the funding is  
11 based on.

12 MR. PARKER: How can you do that when in reality --

13 CHAIRMAN VICTOR: This is Bill Parker just for the  
14 record.

15 MR. PARKER: I'm sorry. Bill Parker. How can you  
16 produce these estimates when in reality you have no idea  
17 when the DOE is going to take possession of these fuels?  
18 Do you work under the assumption of the guidelines,  
19 which means you're coming up with estimates and so on  
20 that we all know are going to be wrong?

21 MR. PALMISANO: So that's a -- the way we do it is  
22 exactly what you said, I make an assumption. I assume  
23 that, naively maybe, that the Department of Energy is  
24 going to start to perform by 2024 for the industry.

25 MR. PARKER: Right.

1           MR. PALMISANO: And then I assume that based on a  
2 queue that has been established by the Department of  
3 Energy, they will remove our fuel by 2049. And that's  
4 been fairly easy to lay out the cash flow to support the  
5 construction, the operation, and the eventual  
6 decommissioning of the ISFSI.

7           Now, the reason it's got to be a living plan is we  
8 know that even after we're off-loading the pool every  
9 number of years we're going to have to revisit that  
10 assumption.

11          MR. PARKER: What's going through my mind is how  
12 can you make any commitment to the ratepayers and others  
13 as to what the cost will be when you might have decades  
14 of additional responsibility for on-site fuel  
15 management?

16          MR. PALMISANO: Well, the Public Utility Commission  
17 has a process by which we will make periodic reports of  
18 the decommission cost estimate and the to go cost and  
19 have to explain the continued assumptions. And a  
20 process to reconcile whether there is no funds, more  
21 collections are needed.

22          MR. QUINN: Tom, most of the -- many of the  
23 utilities in the United States -- this is Ted Quinn --  
24 have sued the Department of Energy. Has Edison sued the  
25 Department?

1           MR. PALMISANO: Yes, we have. Good point here and  
2 I appreciate you jogging my mind on that. Since the  
3 government has failed to perform and they were under  
4 contracts with us, with every other utility, the  
5 government essentially is in breach of contract. So we  
6 and many other utilities have sued.

7           We've actually won the first lawsuit, received a  
8 settlement or an award out of that to cover the cost of  
9 the ISFSI, I think to 2005. We have a second suit  
10 pending that will take us 2005 through 2010. So we will  
11 continue to recover costs. Now, you recover in arrears,  
12 so obviously we need to be sufficiently funded to cover  
13 the costs.

14           But the Department of Energy has agreed to and  
15 established protocol now for all the utilities to  
16 continue recovering funds for their inability to  
17 perform.

18           CHAIRMAN VICTOR: Can I just summarize the -- I  
19 think the tenor of the last two comments is that when we  
20 get to looking at the decommissioning cost estimate, the  
21 DCE, which will be the subject of our next formal  
22 meeting. Let's be sure that we as a panel take a look  
23 at the financial adequacies assumptions that are there.

24           If the Department of Energy -- you know, gee whiz,  
25 they might not do anything in which case then there

1 would be a long-term obligation here. Let's just take a  
2 look at those and make sure that that's consistent.  
3 Because I think that's built in but we just need to make  
4 sure the present is the value of that obligation.

5 MR. PALMISANO: Good. Appreciate it. Thank you.

6 MR. TIM BROWN: You know one thing I've learned in  
7 government is that everything costs more than you think  
8 it will or at least than you initially present for. And  
9 so the question I had is what contingency do you have to  
10 establish on these? Is there a reserve that you have to  
11 establish when you're developing these costs? And how  
12 often do you meet those targets? I mean, how accurate  
13 can you be? It's a really good question.

14 MR. PALMISANO: We do build contingencies and if you  
15 don't mind I would like to defer that to the next  
16 meeting because in the next meeting I'm going to bring  
17 both the Draft Cost Estimate and the Post-Shutdown  
18 Decommissioning Activities Report. And that's going to  
19 give you the whole picture on the cost estimate for  
20 spent fuel decommissioning. We'll be able to talk about  
21 contingency assumptions.

22 MR. STONE: Tom, Gene Stone.

23 CHAIRMAN VICTOR: Hold on a second, Gene.

24 MR. STONE: At the same time can you tell us --

25 MR. PALMISANO: I think David wanted to --

1 MR. STONE: Oh, pardon.

2 MR. ALPAY: Tom, this is John Alpay. I just want  
3 to ask, I mean, you filed new lawsuits in arrears  
4 against the federal government for breach of contract  
5 basically. So you got to go to the Court of Claims in  
6 New York and recoup that. I mean, there's time, value,  
7 money, and attorney's fee, transaction costs associated  
8 with that. I assume that's being recouped as well.

9 MR. PALMISANO: Yes. The right financial guys and  
10 right legal guys know how to package that. And again,  
11 the DOE has got into the settlement process with most  
12 nuclear utilities across the country, so there is a  
13 pretty good template laid out on what you could claim,  
14 what's appropriate, and what they've agreed to. So that  
15 all goes into factoring into what our damage claim is.

16 MR. ALPAY: So basically what I'm hearing you say  
17 is you got to file a claim officially with the court and  
18 then basically you just go into settlement discussions  
19 basically?

20 MR. PALMISANO: Essentially, yes.

21 MR. ALPAY: And if I could ask one more question  
22 though. You talk about the 2024 date, or whatever it is  
23 the DOE provides, is that something that they issue and  
24 revise periodically? Where do you get that number?  
25 Obviously it's made up.

1 MR. PALMISANO: The latest number came from a  
2 January 2013. The Secretary of Energy issued a report.  
3 It was actually a response to the Blue Ribbon Commission  
4 that laid out the administration's plan and what it has  
5 in it. And I'll paraphrase it and we could provide a  
6 copy to the panel for background reading and post it on  
7 our website.

8 What it says essentially is they are going to  
9 approach it in terms of a pilot interim storage facility  
10 followed by a full scale interim storage facility. The  
11 pilot facility they would project to be operational by  
12 2021. The full scale interim facility by 2025 followed  
13 by continued work on a permanent repository.

14 Now, subject to all the discussion about consent  
15 base siting and everything, but this is -- I looked to  
16 point to something official the best that I can of the  
17 DOE. And this is the best we have, January 2013.

18 MR. ALPAY: Okay. That makes sense. I don't want  
19 to belabor the point. But if we could get a copy to the  
20 members.

21 MR. PALMISANO: We'll be glad to get you a copy of  
22 that.

23 CHAIRMAN VICTOR: Maybe we'll also -- it will be  
24 useful we could circulate to the CEP some kind of a  
25 summary, an update on the state of these lawsuits. I

1 think as a practical matter it would be irresponsible  
2 for us for planning purposes to believe anything the  
3 Department of Energy says in this area, so we shouldn't  
4 think about the backstop.

5 Gene, do you want to comment briefly on this and  
6 then we could let you go on.

7 MR. THOMPSON: Just a point of clarification of  
8 what Tom said. The two-step process that the Secretary  
9 of Energy has laid out, the 2021 is the decommissioning  
10 plans. That's the fuel they are planning on taking  
11 first.

12 MR. STONE: So, Tom, can you tell us how does the  
13 money that Edison gets from the DOE now to store nuclear  
14 waste, how does that fit into the finances of  
15 decommissioning? Does that go -- added to the  
16 decommissioning fund or is that profit for Edison? How  
17 does that work?

18 MR. PALMISANO: I think, Gene, again, in the next  
19 meeting we're going to talk about the decommissioning  
20 cost estimate. That's a question better suited --

21 CHAIRMAN VICTOR: Let's set these questions aside  
22 until the next meeting. I think that we should put all  
23 the numbers on the table at the same time.

24 MR. STONE: Just one other point on Zion, you were  
25 talking about Zion. Zion, I believe, who is ahead of



1 us, as you mentioned, in decommissioning. They have  
2 canned all of their high burnup fuel; is that true?

3 MR. PALMISANO: I don't know that specifically,  
4 Gene. I could find that out for you.

5 CHAIRMAN VICTOR: Why don't you continue, Tom.

6 MR. PALMISANO: So again, what does the Irradiated  
7 Fuel Management Plan not include? Again, we want our  
8 principles to be transparent. We want to make sure, you  
9 know, what the plan contains and what it does not  
10 address that we will be deciding later.

11 It doesn't address the actual expansion footprint  
12 of the storage installation. It explains we need to  
13 expand it, but it doesn't contain the level of detail on  
14 exactly how it's going to be expanded. That is a  
15 decision we'll make later, and we'll get some input  
16 certainly on that.

17 It doesn't discuss the selection of the fuel  
18 canister, vender, design, or type, nor does it discuss  
19 decisions on canning or not canning, things we talked  
20 about at the workshop.

21 MR. QUINN: Tom, this is Ted Quinn. You mentioned  
22 that there's a -- your study underway to evaluate moving  
23 up the schedule for moving spent fuel from the pool to  
24 the canisters. You mentioned that at the beginning of  
25 your talk?

1 MR. PALMISANO: Well, our current plan is to  
2 off-load the pools by the end of 2019.

3 MR. QUINN: Right. But you said there was an  
4 evaluation underway to see if it could go sooner; is  
5 that --

6 MR. PALMISANO: Oh, yeah. I think I was referring  
7 to whether it starts in the fall of 2015 or early 2016.  
8 Yeah. So I'm evaluating that.

9 MR. QUINN: My interest was whether that was  
10 included in the Irradiated Fuel Management Plan.

11 MR. PALMISANO: The Irradiated Fuel Management Plan  
12 talks about finishing by 2019. It doesn't get as  
13 specific as if I start in 2015 or 2016. Again, some of  
14 the schedule uncertainty is fairly defined once we make  
15 our decisions.

16 But the specifics of whether I start off-loading  
17 fuel in 2015 or 2016, we'll make those decisions down  
18 the road after we have the pad expanded and the  
19 canisters selected.

20 CHAIRMAN VICTOR: But I mean the practical -- this  
21 is in table 3, which is the final page of the draft, the  
22 practical implication of this is that it's possible to  
23 get the fuel, in theory, out of the pond maybe a whole  
24 year earlier than the plan.

25 MR. PALMISANO: Correct.

1           CHAIRMAN VICTOR: Is that -- that's a reasonable  
2 interpretation and you guys are evaluating that option  
3 and I'm sure there are important calculations is all to  
4 be done.

5           MR. PALMISANO: Again, at this point in planning I  
6 like to be conservative and ensure that I'm not  
7 committing to something we cannot do. So as we proceed  
8 through the next year and the planning gets more  
9 specific, decisions are made on pad expansion and cask  
10 selection.

11           In a year I'll be much more specific on I expect  
12 to complete at this point, be able to start off-loading  
13 fuel at this point. So now you'll see -- let's say a  
14 more conservative longer time frame. There are  
15 opportunities to off-load the pool earlier if the next  
16 year moves fairly effectively through some  
17 decision-making.

18           CHAIRMAN VICTOR: Within the limits of safety that  
19 would seem like a great thing to do.

20           MR. PALMISANO: You know, one of the things we've  
21 heard from stakeholders and it's not necessarily just in  
22 a venue like this a couple of key things, you know, the  
23 public, the stakeholders would like San Onofre  
24 dismantled sooner rather than later.

25           To not be in safe store for 40 years. And the

1 public would certainly urge us to consider off-loading  
2 pools to the dry cask system sooner rather than later.  
3 That's some of the principles -- if you go back to some  
4 of our principles, we actually talk about the safest  
5 earliest transfer of spent fuel to the dry cask storage  
6 system embedded in our principle.

7 So that's a planning basis at this point. Again,  
8 the plans are preliminary, nothing is final. But this  
9 is the dialogue we want to have.

10 MR. STONE: Tom, Gene Stone. When is the DOD study  
11 on high burnup fuel going to be done? About how soon it  
12 could be removed? Aren't they --

13 MR. PALMISANO: Well, I don't know that the  
14 Department of Defense is doing anything, Gene.

15 MR. STONE: Pardon. The Department of Energy.

16 MR. PALMISANO: Well, you asked the NRC rep that.  
17 That study is the Department of Energy's. I don't know  
18 what their timeline is. I think he committed that the  
19 study will be made available when it's ready. I don't  
20 have any specific data on when they are going to do  
21 their study, Gene. Okay. So recent submittals we  
22 compared. I've mentioned Crystal River and Kewaunee  
23 just to give you a quick comparison.

24 Crystal River and Kewaunee are both single unit  
25 plants. We have 2000 megawatt PWRs. Crystal River is

1 on the order of 8- to 900 megawatts. Kewaunee is a  
2 little smaller on the order of 7- to 800 megawatts. So  
3 you see smaller number of fuel assemblies. Kewaunee has  
4 1,079. Crystal River 1,243.

5 Kewaunee already has a dry fuel storage system  
6 with some assemblies in it. Then obviously we have  
7 2,668 in the pool. You could see the comparative dates.  
8 Right now Crystal River is anticipating being complete  
9 from wet to dry storage in 2019. Kewaunee is going to  
10 be more aggressive and be done by 2016.

11 We're forecasting 2019. And then you see the  
12 submittal dates. Crystal River has actually made two  
13 submittals of the Irradiated Fuel Management Plan, their  
14 most recent one in December. Kewaunee has made three.  
15 The first one five years before shutdown. And then  
16 they've updated it. In February when they announced the  
17 shutdown, they updated just this last month.

18 So you could see how these are used as living  
19 documents as planning changes. You update the document  
20 to keep the NRC apprised of your spent fuel management  
21 plan.

22 CHAIRMAN VICTOR: Can you say what are the major  
23 reasons that these get updated?

24 MR. PALMISANO: Generally it's timing changes. You  
25 know, because as you've seen from the plan they're

1 written at a fairly high level. It's not driven by I'm  
2 using this cask or that cask. It's really driven by  
3 timing or funding changes.

4 CHAIRMAN VICTOR: It seems to me that this panel  
5 ought to in the first quarter of next year take a fresh  
6 look at where -- because we will have learned a lot more  
7 information at that point and also been able to look at  
8 any updates of the other plants so maybe we could take a  
9 look at that the first quarter of next year.

10 MR. PALMISANO: Very good. So some future  
11 decisions that we're faced with. You know, we currently  
12 use an AREVA TN NUHOMS system. Several of you toured  
13 the facility. I've shown pictures of that. When we  
14 decided to decommission, we stepped back and said we're  
15 just not going to presume we're going to stay with the  
16 first system.

17 It's an expensive decision for us and for the  
18 ratepayers so we went out for bid. We have not  
19 completed the bid evaluation. We have three very viable  
20 vendors AREVA Transnuclear, Holtec, and a company  
21 called NAC. They all have good designs. They are all  
22 deployed in the industry in one size or another, one  
23 fashion or another.

24 So this decision has not been made yet. So this  
25 is something over the next several months we'll be

1 finalizing our bid evaluation on. The AREVA system  
2 currently is licensed to meet our specific requirements  
3 particularly seismic.

4 The Holtec system which is in use at Humboldt Bay  
5 and Holtec has been used in a number of plants in the  
6 country. But particularly this Umax system is being  
7 installed at Humboldt Bay would only require a minor  
8 license amendment to accommodate our seismic  
9 requirements.

10 And then the NAC system, the design would have to  
11 be modified to meet our criteria and require a more  
12 involved license amendment. So I just want to kind of  
13 recap the three different systems we're looking at.  
14 Part of that decision is canister capacity. We  
15 currently use a 24 fuel element canister provided by  
16 AREVA.

17 The ones we use are uniquely designed for us  
18 because of our high seismic criteria. The current AREVA  
19 system that they are producing and using is the 32  
20 element system that would meet our seismic requirement.  
21 The other vendors are using a 37 fuel assembly canister,  
22 so those are the range of possibilities.

23 We've got a question about canning of high burnup  
24 fuel. We have not made a decision on that. And we are  
25 certainly listening to the dialogue about that and

1 listening to the different viewpoints and evaluating the  
2 potential benefits, the potential negatives and, you  
3 know, the consequences in terms of number of casks, et  
4 cetera.

5 And then the ISFSI expansion itself. By location,  
6 I mean, taking the existing pad -- and let me show you a  
7 picture. Here is where the existing pad is in red. If  
8 you remember that picture, this is where the old unit 1  
9 physically was. What's in red today is the existing  
10 pad. What's outlined in green is one proposed expansion  
11 just stretching the rectangle.

12 Since the last meeting, we've done a little more  
13 work as we finalize it on the square footage. So a  
14 couple of options. I could go towards the west. The  
15 pad -- you know, roughly double the size of the pad from  
16 55,000 to 92,000. We could go more in this direction,  
17 this way, and then little longer with a total of 94,000.  
18 So we're evaluating what technically is appropriate,  
19 what makes the most sense.

20 So with that I just want to reinforce our  
21 principles: Safety, stewardship, and engagement. And a  
22 better engagement is transparency and that's what  
23 tonight is all about.

24 CHAIRMAN VICTOR: Let's get some comments from the  
25 panel before we take a break.



1 Bill Parker.

2 MR. PARKER: Bill Parker. To what extent does the  
3 decisions concerning canning relate to the decisions  
4 about the design of the canisters or are they  
5 independent?

6 MR. PALMISANO: No. They are somewhat related.  
7 You know, we haven't -- because we haven't finalized on  
8 a canister design. We're starting off to talk to all  
9 the vendors about what canning would entail. For  
10 example, when Mike McMahon from AREVA was here he  
11 explained in their 32 element design they would take the  
12 existing storage cell and they would put a cap with  
13 holes on the bottom and cap the holes on top.

14 That's how they would can an assembly, so they  
15 would put caps. If we were to want to stick with let's  
16 say a 24 assembly canister, which they don't make  
17 anymore for our design, we would have to tool them up.  
18 They would have to do significant more reengineering  
19 work on the internals to make that feasible. So it's  
20 got to be interactive with the design.

21 MR. PARKER: So the two decisions have to go  
22 together?

23 MR. PALMISANO: Well, the first decision -- I  
24 guess, to some extent, yes. We wouldn't select a  
25 canister solely based on canning complexity or not. But

1 we're not going to be independent. You know, we're  
2 going to select a canister based on what's technically  
3 appropriate, what has the right safety margins, what's  
4 licensed.

5 So we'll make the appropriate canister decision  
6 there. Then we'll look at what the implication of  
7 canning are -- the implication of canning is. And see  
8 it that alters the decision.

9 CHAIRMAN VICTOR: Tim Brown.

10 MR. TIM BROWN: Just for simplicity purposes, the  
11 detailed flow chart made my eyes hurt, so I want to get  
12 some relief from that. So you've got the NRC future  
13 decisions for spent fuel storage. There's three items  
14 here. When do these decisions have to be made?

15 MR. PALMISANO: On a time -- these are not needed  
16 for the Irradiated Fuel Management Plan.

17 MR. TIM BROWN: Okay. Not for the plan. But is it  
18 in two years?

19 MR. PALMISANO: No. No. I would say by September.  
20 If we're going to hold to that schedule to have fuel  
21 off-loaded by 2019, we need to make our decisions on  
22 canister selection and pad expansion by September.

23 MR. TIM BROWN: By September of this year?

24 MR. PALMISANO: Yeah. Other than that it just  
25 starts meaning fuel in the pools longer and longer.

1           CHAIRMAN VICTOR: So that tells us that there are  
2 actually potentially safety consequences to delay?

3           MR. PALMISANO: Well, there are certainly  
4 consequences. You know, the NRC's position is fuel is  
5 safe in the fuel pools. It's safe in dry storage and  
6 certainly I could explain that, I think, from my  
7 standpoint the decommissioning process is simpler the  
8 sooner I off-load the fuel pools. And it is more cost  
9 effective.

10          CHAIRMAN VICTOR: I saw another question down  
11 there. Ted Quinn.

12          MR. QUINN: Yeah. Ted Quinn. Rancho Seco I think  
13 is the nearest plant. Do you know what they used for  
14 their canister design?

15          MR. PALMISANO: Let me think. We have benchmarked  
16 them by telephone because they have already gone through  
17 license termination. Let's see if my spent fuel guys  
18 are in the room. Ed, do you happen to know what Rancho  
19 Seco used?

20          ED AVELLA: No.

21          MR. PALMISANO: We'll have to get back to you on  
22 that.

23          THE MEMBERS OF THE PUBLIC: NUHOMS.

24          MR. PALMISANO: That's right. NUHOMS. As a matter  
25 of fact, NUHOMS. Yeah. They used the NUHOMS horizontal

1 system. Thank you.

2 MR. TIM BROWN: Who are these people that know this  
3 information hanging out? I'm kind of surprised.

4 CHAIRMAN VICTOR: We're going to have some long  
5 math questions in a moment. Other comments?

6 MR. GARRY BROWN: I have a question. So going  
7 forward when we look at the dry storage site, in your  
8 mind, in your plan is there only one option to expand  
9 the site where it is now or is there any idea to look at  
10 other options, other sites?

11 MR. PALMISANO: So for us to be complete, we are  
12 asking that question. So here's how the options would  
13 stack up. Right now our independent spent fuel storage  
14 installation is licensed under our part 50 license.  
15 That's an approved NRC mechanism. So today if I'm to  
16 cite a pad the existing pad obviously is appropriate.

17 I would -- if I cite a different or a second  
18 pad -- and when I managed the Palisades plant in  
19 Michigan, I actually had two pads that were a quarter a  
20 mile apart, so that is possible. Under my current  
21 license for me to license it the way I do today, it's  
22 got to be in my part 50 licensed area, which is largely  
23 the area where the power plant is.

24 For example, we have some facilities on the Mesa  
25 that we lease from the Navy. That is not part of my

1 part 50 license. So I've asked the question could I  
2 cite a facility on the Mesa. Okay. Potentially  
3 anything is possible. Okay. It's not part of my part  
4 50 license. It would require a separate NRC part 72  
5 license process, which is about a decade before, you  
6 know, I could off-load the fuel pools when you look at  
7 new license process.

8 So -- and not to mention the fact it's not our  
9 land, the Department of Navy would have to agree, you  
10 know. There's a lot of barriers there. And then we  
11 talked in earlier meetings about something away from  
12 reactor interim storage. You know, those are the things  
13 that I don't have the ability to really propose as a way  
14 to support a 20-year decommissioning plan.

15 CHAIRMAN VICTOR: I visited the site a while ago,  
16 and I had the impressions -- because it's an unusual  
17 site because it's hemmed in by the 5 and the ocean and  
18 so on. That there seems to be a very strong premium on  
19 having this as a contiguous location.

20 Not least because you're going to have going on at  
21 the same time as the dry cask storage the removal of  
22 units 2 and 3. What seems to be for safety reasons and  
23 for the ease of licensing a big premium on having the --

24 MR. PALMISANO: Ideally from a technical and a  
25 regulatory licensing standpoint expanding the existing

1 pad, and the subsurface has already been engineered and  
2 compacted for that, would make the most sense in that  
3 sense.

4 As you look at the practical aspects, it requires  
5 a security installation that's equivalent to what is  
6 used to protect the reactors. The problem with my old  
7 plan in Palisades in Michigan I had basically two  
8 security installations with more security officers  
9 instead of one. So it becomes a bit more challenging.

10 And then with decommissioning coming up and all  
11 the activity in the dismantlement in the vehicles. If  
12 you've got two areas you've got to protect, not just  
13 from a security standpoint, just a practical standpoint  
14 to assure their integrity having two different areas on  
15 this small footprint, is problematic.

16 MR. GARRY BROWN: So really you're answering the  
17 question. You're saying well, with the legal  
18 parameters, with the timeline parameters, we only have  
19 one option, expand this site?

20 MR. PALMISANO: No. What I'm really telling you is  
21 the practical option to support 20 years is somewhere on  
22 the part 50 footprint. I could pick one or two other  
23 areas that might make some sense, but they are subject  
24 to duplicating security needs, some of the lay down.  
25 The other thing is it gets them up to the level of I-5.

1 And I don't know that we want the facility at that level  
2 as opposed to a lower level. You know, from a  
3 visibility, esthetics, and radiation shielding.

4 CHAIRMAN VICTOR: Could you remind us what this is  
5 going to look like. We talked about this last panel,  
6 the panel meeting. But there's going to be a berm  
7 around this so it doesn't really matter which cask  
8 vendor you use. It's all going to look the same to the  
9 public?

10 MR. PALMISANO: In general terms, yeah. You know,  
11 one of the options that other plants have done is once  
12 you're done with your expansion, I just called up the  
13 simplified picture, you know, you build a berm around it  
14 for a variety of reasons.

15 One of which is just the esthetic value that you  
16 see a berm, you don't see the storage modules  
17 themselves. Those are options we haven't decided yet  
18 and the decisions, for example, on a berm is not a  
19 decision that has to be made by September. What I need  
20 to make by September: The cask selection, the pad  
21 location, so I could start the longer lead time  
22 engineering procurement. With other questions like  
23 esthetically what's going to the finished case could  
24 come later.

25 CHAIRMAN VICTOR: So as a practical matter what

1 would you like from us? You know, we've all had a  
2 chance to read this 10-page plan and it mostly is kind  
3 of laying out a strategy.

4 MR. PALMISANO: Right.

5 CHAIRMAN VICTOR: And the strategy, you know, has  
6 certainly decisions about which vendor and things like  
7 that. Where would you find feedback from this panel to  
8 be of greatest value?

9 MR. PALMISANO: What I would tell you in feedback  
10 from the panel starting at a bigger picture, 20 years or  
11 less. Does that make sense to the panel? Does the  
12 panel want to say slow down, let's take 30 to 40 years?  
13 You know, so first of all, the length of time to  
14 decommission.

15 I think it's important if the panel thinks  
16 differently, we need to hear that. We're proposing a  
17 20-year plus plan because we think that's what makes the  
18 most sense to our stakeholders, to us to get this done  
19 and get this behind us. So that's one thing.

20 Any other comments about the selection not so much  
21 the selection of the vendor, but the parameters you  
22 would like us to explain as we make our final decisions  
23 on canister selection. We'll take your input, and we'll  
24 feed back to you what we've decided.

25 And then any comments, you know, in terms of



1 understanding pad location. If you want me to explain  
2 that further. Those are the types of things.

3 CHAIRMAN VICTOR: So if I could just kind of  
4 summarize what I've heard so far. From the panel  
5 members having just talked about these kinds of issues  
6 with many members, I haven't heard anybody say slow  
7 down. I have heard people say let's make sure this is  
8 done safely and concerns about heat, flux, and so on.

9 So maybe if there are comments about that in  
10 particular because that has a big impact on your plan  
11 here. We could solicit a few views right now, there may  
12 not be any. And then people could provide additional  
13 comments over the course of the next two weeks. And  
14 then I do want to raise a question about the possibility  
15 of having two vendors on site. Did you want to comment  
16 on this?

17 MR. PARKER: Bill Parker. It strikes me that one  
18 of your parameters as you think about canister design,  
19 vendor, and so on, is the flexibility the design offers  
20 for you to manage the fuel on site for periods greatly  
21 beyond the ability to repackage, the ability to service.

22 So I think as you select -- you don't -- it's not  
23 just does it last 20 years. But are you choosing  
24 something that minimizes costs, maximizes flexibility  
25 and safety over a period well beyond the 2024?

1           MR. PALMISANO: Yes, we are. We're not looking for  
2 a 20-year decision or even a decision that assumes  
3 everything is gone by 2049. We will select a cask which  
4 has a design lifetime much longer than that. Has the  
5 ability to be relicensed. As the AREVA rep told us,  
6 picture it like your driver's license. I could drive  
7 for much more than five years. I renew my license every  
8 five years. Any cask is going to have to have a  
9 maintenance program to ensure the integrity of the cask,  
10 and any cask vendor is going to have to have the ability  
11 to monitor cask performance.

12           MR. PARKER: I think those factors that you just  
13 mentioned: The ability to monitor, the ability to  
14 maintain, have cost implications but I think they are  
15 inevitable given the probability that the DOE is going to  
16 be slow in making these decisions.

17           MR. PALMISANO: And I will tell, you know, we've  
18 been in the dry fuel storage since the mid '80s. And  
19 the industry vendors today understand they have to have  
20 those attributes in their designs.

21           CHAIRMAN VICTOR: Let me just make sure we get some  
22 additional comments before we break.

23           Jerry Kern.

24           MR. KERN: Just one quick question. In my  
25 experience in doing RFPs we have a set of criteria, we

1 send it out, and we request proposals. The other thing  
2 as we say: This is kind of what we want. You guys come  
3 back with the best ideas you have and we chose. So  
4 where are we on this? Are we waiting for the vendors to  
5 come up with a design that is acceptable or are we  
6 sending them a list of criteria that they have to meet?

7 MR. PALMISANO: We sent them a list of the criteria  
8 they have to meet. Okay. And, you know, the criteria  
9 we sent -- you know, we're considering a vendor that  
10 will not only supply the cask but expand the pad as well  
11 and provide some ancillary services.

12 So we've given them a list of criteria but with  
13 any vendor then they have the ability to propose  
14 additional things that they feel they could offer us  
15 that would be of value to us and we should consider, so  
16 that's certainly wide open.

17 Realize our choices are going to be limited to who  
18 has a cask that is licensed for storage and transport.  
19 We're not going to go out and pick a new vendor who's  
20 never designed and licensed a cask before and has no  
21 experience with it and pick a new vendor. So that's why  
22 we have the three vendors in play.

23 They all have licensed products. There are some  
24 differences in the ability to put it in San Onofre today  
25 versus more licensing work the -- you know, the range

1 is, quite frankly, a bit limited.

2 CHAIRMAN VICTOR: Can I just remind everybody that  
3 it's of course not appropriate for this panel to be  
4 making recommendations about vendors. But I do think,  
5 Tom, as this process unfolds if things come back from  
6 the vendors that you think are material to how the  
7 public would think about these that either share those  
8 with us or solicit views because I think there may be  
9 things that come back in the bidding process. Mindful  
10 that this panel should not be involved in any way in the  
11 actual bidding or the decision. So that's totally  
12 outside --

13 MR. PALMISANO: We'll take that in the spirit that  
14 there are things we should share with the panel because  
15 of the impact on the public.

16 CHAIRMAN VICTOR: Last comment, Tim Brown. And  
17 then I want to say one thing, and then we're going to  
18 break for a moment.

19 MR. TIM BROWN: Tom, I have a question, and I don't  
20 know if you could answer. But, you know, we've received  
21 material and it says, "Chose Safety Over Profits." And  
22 it seems to be a resonating thing that if we spend more  
23 money for a higher degree of reliability on any product  
24 and method or choice, that -- let me put it this way.  
25 Does SCE have a profit motive in cask selection?

1           Meaning, are you allocated a certain amount and if  
2 you come under the cost, you take the rest -- and I ask  
3 this question not facetious. I really want to know. Is  
4 there any motive in -- on your part, a profit motive in  
5 choosing say a certain cask over another or is all  
6 ratepayer money that is just covering these costs?

7           And lastly, you know, we could have a high degree  
8 of safety already and we're going to get .02 higher  
9 degree of liability by spending twice as much. I'm very  
10 sensitive to obtaining that .02 and spending twice as  
11 much of the ratepayers' money. So there is a point  
12 where it does matter, you know.

13           You know, I'd love to say that the government  
14 ratepayers have a check that they could just keep  
15 writing but ultimately I'm sensitive to the fact that we  
16 want to make sure that this procedure is cost effective.  
17 And so could you just kind of philosophically address  
18 that.

19           MR. PALMISANO: Sure. We have no profit motive in  
20 deciding what cask vendor to use or, quite frankly, and  
21 how quickly to proceed in decommissioning. This is all  
22 ratepayer money. The decommissioning fund has been  
23 funded by ratepayers. It is under strict oversight by  
24 the Public Utility Commission.

25           This is where our unit 1 experience comes in.

1 This is where Humboldt Bay and Rancho Seco -- or  
2 Humboldt Bay's experience comes in. Rancho Seco is not  
3 under PUC purview. And so this is the stewardship  
4 principle. We are sensitive to the fact that it's  
5 safety first. We need products and decisions that are  
6 technically correct, have the right safety margins in  
7 them, are licensable, and in the other criteria of  
8 stewardship or ratepayer funds. It is not our goal to  
9 do this as cheaply as possible.

10 CHAIRMAN VICTOR: And if I could just interject  
11 here. On table 2 of the draft suggests this is serious  
12 money. This is \$400 million for the expansion of the  
13 pad and all the casks and so on. So money that is not  
14 spent of that ultimately gets returned back to  
15 ratepayers.

16 MR. PALMISANO: Right. Part of the overall  
17 decommissioning fund.

18 CHAIRMAN VICTOR: So could I just ask you one  
19 last -- make one comment and ask you one last question  
20 before we break. Which is one of the things we learned  
21 in the May 6th workshop is that it's just not always the  
22 case that having casks with smaller number assemblies  
23 are safer because you have less fuel there.

24 Because, in fact, the casks with larger numbers of  
25 assemblies also have all of the latest safety gear and

1 so on. And so I think that's something as we weigh and  
2 as the members of the panel make comments about this I  
3 think it's something for us to keep in mind that it's  
4 not -- there aren't an infinite number of trade-offs.

5 And, in fact, there's a premium on buying the  
6 latest gear and not doing things that require special  
7 reengineering and so for maybe smaller numbers of fuel  
8 assemblies precisely because there is safety in using  
9 the same kinds of casks that everybody else is using.

10 And working with vendors who have tremendous  
11 amount of experience in those -- in those casks even if  
12 that means higher numbers of fuel assemblies. That was  
13 just one of the things that really struck me from the  
14 May 6th workshop.

15 And the question I want to ask you is: Is it  
16 feasible to have two vendors? So right now you have the  
17 AREVA TN design, there's another design, which is  
18 underground, the Holtec design. Is it feasible to have  
19 both on site or is there a big premium on having only  
20 one kind?

21 MR. PALMISANO: It's certainly feasible to have  
22 both on site. This Palisades plant I referred to we had  
23 three different designs on site. The Kewaunee plant has  
24 selected their design for decommissioning, different  
25 than their design for the operational phase.

1           So a number of sites have mixed -- they have  
2 several designs on site. It is not -- it is certainly  
3 feasible. You just operate under each cask vendor's  
4 license. What it does mean is different handling  
5 equipment, different monitoring techniques.

6           So this is part of the evaluation that, you know,  
7 it was one thing in the operational phase when we  
8 naively thought the DOE would be taking the fuel out  
9 every five years. As we look at 150 casks for the  
10 longer term, one of the considerations is different  
11 designs, different handling equipment depending on which  
12 cask you're dealing with.

13           CHAIRMAN VICTOR: Great. Thank you very much.  
14 We're going to take a 10-minute break. Then we're going  
15 to have the public comment period. Let me just mention  
16 that there are 23 registered comments for the public  
17 comment period, so that's going to be a very, very tight  
18 schedule.

19           Thank you very much, Tom Palmisano. Thanks to all  
20 of you. We will reconvene in 10 minutes.

21           (A break was taken from 7:36 p.m. to 7:37 p.m.)

22           CHAIRMAN VICTOR: First off on my list -- as  
23 before, the comments are going to be made from the  
24 podium here. We've got a count down clock set for three  
25 minutes that everybody could see.



1           And, Marty, the floor is yours.

2           MARTY MAGDIF: Thank you. Marty Magdif from Laguna  
3 Beach. Thank you for all of your time. We did just  
4 have Senator Boxer let us know that the Nuclear  
5 Regulatory Commission condition is now set on accident.  
6 By any kind of manner to our spent fuel pools at SONGS  
7 gives us ten hours before we're in trouble.

8           I think that the public knowing that would be  
9 terrified. And I was glad to hear that they are looking  
10 at a new system for the spent fuel pools so that it's  
11 not off the ocean. And I'm glad that's happening, and I  
12 hope it happens tomorrow. My biggest concern is that we  
13 continue to say Department of Energy, they haven't done  
14 anything since it began the problem in 1987. And we  
15 just can't wait.

16           You talked about a California solution. You say  
17 that there are laws that will stop it. Senator  
18 Feinstein's bill right now is in committee, which means  
19 it's locked there and is not moving very fast away. And  
20 that's the S.1240, that's the Nuclear Waste Act of 2013  
21 that might help us get what we need to move the fuel.  
22 But it's sitting there.

23           California must -- you as a panel, please put  
24 together people at all political levels, federal, state,  
25 and city here in California and begin to get the laws

1 changed that we need to move this fuel off the ocean.  
2 We've got every reason to believe that we could be  
3 Fukushima tomorrow.

4 We watched the firestorm right at Camp Pendleton  
5 with a dozen employees evacuated. We cannot leave it  
6 where it is. And I know you have terrible decisions to  
7 make. When you talk about building it, tripling it  
8 where it is. I'm understanding we don't want it to sit  
9 there longer than it has to. Terrible decisions.

10 But you're also planning to not make the equipment  
11 that moves it out of there, and I want to see us having  
12 the equipment there that moves it out. I want to be  
13 planning it and have it all out of there in five years,  
14 yesterday. I want it out. So thank you for how hard  
15 you're working.

16 I know we have to be realistic and you are moving  
17 fast. I did want to ask that we do ask for a green  
18 field solution. And -- is that my time up already?

19 CHAIRMAN VICTOR: No. You've got one minute. The  
20 timer is more fantasy than reality right now.

21 MARTY MAGDIF: So I'm hoping not. All right.  
22 Thank you.

23 I'm hoping we have the green field solution,  
24 Mr. Rannals, to make sure we have this cleaned up  
25 completely when they leave. And I am wanting to make

1 sure that we do have the handling equipment.

2 You talk about that we have unit 1 cask 17  
3 canisters that have been there now since unit 1 was  
4 decommissioned. Can they be opened? Can the pieces be  
5 moved out? If they -- we should be able to check that.  
6 And if that can't be done, then we need to be planning  
7 for the canning right now before you buy the canisters  
8 so that some day, 100 years from now, 200 years from  
9 now, Chernobyl right now is spending over a billion  
10 dollars for its cask -- it's cement after just 28 years.  
11 28 years and another billion dollars to redo the cement  
12 that covers them. So thank you.

13 CHAIRMAN VICTOR: Thank you very much.

14 MARTY MAGDIF: Have a final solution, California.

15 CHAIRMAN VICTOR: Thank you for your comment. Yoka  
16 Kohn and then Joe Holtzman.

17 YOKA KOHN: My name is Yoka Kohm. I'd like to talk  
18 a little bit about the Fukushima Daiichi Nuclear Power  
19 Plant. Dr. Parker, you mentioned about that the  
20 tsunami -- because of the tsunami hit that caused the  
21 accident. Actually, the many documents show before that  
22 tsunami hit with that earthquake that it released the  
23 radiation.

24 So that accident happened before the tsunami hit.  
25 I think all the panel people here have tremendous

1 responsibilities not only for the client residents of  
2 Southern California but also to the many generations  
3 ahead. That this discussion that we've been having have  
4 enormous impact for our future.

5 So I'd like to ask all the panel -- panels here to  
6 study about the danger of nuclear power and radiation.  
7 Please listen to the people who have studied and  
8 alarming the danger. I studied about high burnup fuels  
9 and have some question. I asked the person who used to  
10 work at Fukushima Daiichi Nuclear Power Plant in Japan.

11 Yes. That people, Daiichi Nuclear Power Plant.  
12 He used to work there for about 20 years and knows a lot  
13 about nuclear power plants as well as spent fuels. He  
14 told me that Japan once considered using high burnup  
15 fuels. And he researched about it but they gave up.  
16 The reasons are because of those high burnup fuels  
17 extremely radioactive and not easy to manage.

18 And he describes those as combustive. And they  
19 need to be in the cooling pool for more than 20 years.  
20 Do you know that Japan has MOX fuel that contains  
21 plutonium and very dangerous fuel. Also Japan is still  
22 trying to operate high speed Breeder reactors that U.S.,  
23 France, and England all gave up. And even from all the  
24 researching.

25 Japan gave up on using high burnup fuels because

1 they think those are too dangerous to operate. That's  
2 we have here in San Onofre. I have many questions about  
3 safety over the plant. The decommission schedule charts  
4 show that they will finish the storing spent fuel into  
5 dry casks by 2020. Some 2015.

6 I really concern about the length to storing those  
7 spent fuel in the pools long enough. Also, because I  
8 studied about high burnup fuel is twice as radioactive  
9 and need to be in the cooling pool at least 20 years.

10 CHAIRMAN VICTOR: Thank you very much for your  
11 comments.

12 YOKA KOHN: Thank you.

13 CHAIRMAN VICTOR: Next is Joe Holtzman and then Ace  
14 Coughman.

15 JOE HOLTZMAN: Yeah, Joe Holtsman, Mission Viejo,  
16 17 miles from ground zero. You know, Tom mentioned the  
17 three things about safety, stewardship, and engagement.  
18 I hope this panel truly understands that we wouldn't be  
19 here if two out of the three had been complied with  
20 here.

21 You know, after attending meetings about San  
22 Onofre for 10 years, I'd like to share with you that  
23 there have been health and safety falsification by  
24 Edison. There had been miswiring of generators,  
25 certainly misdesign of generators, questionable repairs

1 of the dome, purposeful falsification of customer  
2 satisfaction surveys.

3 And really, in my own words, I'd say it's not in  
4 Edison's DNA to be honest. Let's go through a couple of  
5 things. Mother Nature has no rules. Now, I served as a  
6 secretary/treasurer of the Mission Viejo Heritage  
7 Committee for a number of years, so I know this area  
8 pretty intimately.

9 When the 1812 earthquake occurred which took the  
10 mission down, the Good Fathers, the Franciscans reported  
11 the water came in one and a half to two miles. Now that  
12 mission is three miles from the water. So we've got a  
13 break wall out here protecting this plant that certainly  
14 would be overcome.

15 It's not the moments of force, Bill. It's not the  
16 moments of force on the building. It's the tsunami  
17 that's going to result that's going to bury the place.  
18 So don't worry about the earthquake. In the results of  
19 things that come later. Now, after 45 years of  
20 industrial experience, I would like to share something  
21 else with Tom.

22 You don't have the expertise in this world that's  
23 going to be needed in the period that you're talking  
24 about because there is going to be other plants that are  
25 decommissioned. We had 104. We're down to 100. The

1 rest of the world is decommissioning. After launching  
2 five major airplanes and about 15 different major  
3 automotive launches, I know what it takes in resources  
4 to be able to accomplish this stuff.

5 You've got an aging nuclear fleet Navy and that's  
6 where your resources come from, the nuclear Navy.  
7 They're downsizing also. So you don't have the  
8 intellectual capability and the intellectual capital to  
9 be able to accomplish what you're doing. So we got a  
10 real problem on our hands. And I think you got to  
11 challenge everything that comes up. Thank you.

12 CHAIRMAN VICTOR: Thank you very much for your  
13 views. Ace Hoffman and then after Ace Hoffman Christine  
14 Johnston.

15 ACE HOFFMAN: Thank you for the opportunity to  
16 speak. I feel like it's September 10th, 2001 because  
17 we're completely ignoring the possibility of an airplane  
18 strike against the dry casks and they're not going to  
19 withstand that.

20 If we pile them all up together and we don't put  
21 solid earth and berms, there's a risk of a problem  
22 (inaudible) 370 might be controlled from somebody  
23 outside of the country to crash into that plant. Is  
24 this really what we're here for? Is this kick the can  
25 down the road and say, oh, we're going to have a storage

1 unit somewhere in 20 years.

2 Well, you have nothing to go on. Absolutely  
3 nothing to go on to believe that that's actually going  
4 to happen. The problems with the Yucca Mountain were  
5 severe. It was not just a political problem. Why is it  
6 that in every decision for the nuclear industry we  
7 decide that something is good enough and the cost  
8 effective.

9 An extra million dollars for each to can the fuel.  
10 How much -- Tim, you said what were your exact quote --  
11 you said .02. You don't want to spend an extra .02. Is  
12 that percent? That's awful cheap compared to the  
13 costs --

14 MR. TIM BROWN: It's a sample figure, Ace.

15 ACE HOFFMAN: But compared to the cost of an  
16 accident. What do we have here? We're on cycle 16 for  
17 both the reactors so we have what may be ten full  
18 reactors' worth of fuel from each of them in those spent  
19 fuel pools.

20 You don't want anything going wrong. That's the  
21 most important thing is to cut this Gordian knot. And  
22 if you keep saying, well, somebody else is going to take  
23 care of it so what we need is a cask that is going to  
24 last 10 years, 20 years, 50 years. That's not going to  
25 be good enough.



1           We need something that is going to last, oh,  
2 really for thousands of years. And if we can't do that,  
3 we need to admit that we're not doing enough in terms of  
4 protection from tsunamis. There's going to be an under  
5 water earthquake off shore that causes a collapse of a  
6 mountain like what happened at Banda Aceh. And that  
7 could cause an earthquake -- a tsunami that is just  
8 enormous.

9           And we're not even considering the possibility.  
10 We're not doing anything about stress corrosion craking  
11 from the salty air. Any of us that walk down on any of  
12 the boardwalks know how much rust can occur. I went  
13 through all the literature I could find on 316. And it  
14 rusts. Everything rusts, even 316.

15           They're all going to fall apart. So we need to  
16 come up with some plan that is better. And I think the  
17 most important thing that we could do here is to prove  
18 that it's going to cost so much money that the other  
19 reactors -- Palo Verde of which Southern California  
20 Edison is a part owner, they may have been able to  
21 replace their steam generators but they are going to  
22 have a problem with spent fuel just like us.

23           The only reason theirs will be less than ours is  
24 because they are further away from the ocean. They will  
25 have less rust from that. Diablo Canyon, let them know

1     how bad of a problem we've got here.  How many people do  
2     we need to solve it?

3             CHAIRMAN VICTOR:  Thank you very much.  Christine  
4     Johnston and then Sharon Hoffman.

5             CHRISTINE JOHNSTON:  Hello.  I have actually four  
6     questions and I don't know if I could direct them to  
7     anyone in particular.  But on May 15th, of course, we  
8     had the fire.  And I'm five miles ground zero from your  
9     plant.

10            I wanted to find out if hazmat was called in on  
11     May 15th in anticipation of the photograph that I have,  
12     an aerial photograph, that indicates the fire was  
13     basically approximately a half mile from the actual  
14     plant coming straight down through trail 1.  And also --  
15     so that is my first question.  Was hazmat called in?

16            CHAIRMAN VICTOR:  In this period of the meeting,  
17     why don't you raise the questions and then we will find  
18     ways to get answers back to you.

19            CHRISTINE JOHNSTON:  Okay.  Good.  I have a total  
20     of five.  My second question is:  The rods, of course,  
21     have to be constantly cooled and if electrical power  
22     systems were interrupted by the fire, I understand that  
23     you have a four-hour capacity with which to regain or  
24     you have four hours of electrical ability to make  
25     certain that the pools can remain cooled.

1           And if it were interrupted, that would be -- I  
2 would like to find out what exactly would that involve  
3 in terms of a diaster. Or what magnitude of a disaster  
4 we would have.

5           My third question is: How many people were  
6 evacuated on May 15th from SONGS? And I would also like  
7 to know what percentage of people from SONGS were left  
8 behind? And how many employees were left behind to  
9 manage the plant and safety? And as safety is your top  
10 guiding principle, that's very important for, I think,  
11 all of us to know.

12           And then finally as someone more in the area of  
13 fire protection could maybe discuss fire natos and how  
14 those particular types of events touch down unwittingly  
15 and unknowingly and very likely could at the plant.  
16 That's it. Thanks.

17           CHAIRMAN VICTOR: Thank you very much. This and  
18 other questions that will arise I'll say a few words  
19 about that at the end of today's meeting. Next is  
20 Sharon Hoffman and then Darren McClure.

21           SHARON HOFFMAN: Good evening, my name is Sharon  
22 Hoffman, and I have been to the three meetings that this  
23 panel has held so far. And it is my intent to try to  
24 attend as many of these as possible. One of the things  
25 that I'm hearing that I find extremely disconcerting is

1 I hear the panel saying we think we have answers or  
2 placate trying to say this is under control.

3 We know how this is going to work. There were a  
4 couple of very obvious instances of this this evening.  
5 And I really want to urge all of you to continue to  
6 question. People have been trying to solve the problem  
7 of nuclear waste since the dawn of the atomic era,  
8 nobody has come up with a solution.

9 All the solutions that we're hearing are stopgap  
10 measures. Nobody reports to have a solution that will  
11 last the half life of even the shorter lived isotopes,  
12 let alone things like plutonium. So when people say the  
13 dry casks will last much, much more than 20 years, first  
14 of all, we don't know really because they haven't been  
15 around very much longer.

16 And secondly, how much longer and what are we  
17 going to do when they do fail because I don't think  
18 anybody thinks they are going to last, say, 24,000  
19 years. So what is the plan for safely unloading and  
20 restoring that fuel? Particularly if it's not canned  
21 and therefore could be a pile of rubble at the bottom of  
22 the cask.

23 Similarly I found the discussion of the difference  
24 between the Richter Scale and the ground acceleration  
25 really kind of confusing because it started by saying

1 these things are very different and the Richter Scale  
2 makes no sense. And then it proceeded to compare  
3 Richter Scale earthquakes and their effect on something  
4 55 miles away in Japan with a Richter Scale earthquake  
5 from the San Andreas Fault which is 55 miles from San  
6 Onofre.

7 Either they are comparable or they are not. And  
8 if they're not, then other things like the geology make  
9 a difference. And we need a broader answer than, oh,  
10 okay, now we understand everything is fine. And since  
11 we're only 55 miles from the San Andreas Fault, there  
12 will never be an earthquake event at San Onofre. Thank  
13 you.

14 CHAIRMAN VICTOR: Thank you very much. And Darren  
15 McClure is next and then Jeff Steinmess. Darren  
16 McClure. While Darren is taking the floor, I just want  
17 to say this. Bill Parker was asked to give a brief  
18 summary of a larger piece of analysis that he's done and  
19 I will circulate that to the CEP and we will post that  
20 material on the website. So the purpose was not to run  
21 roughshod over the Richter Scale, but to summarize a  
22 more complicated analysis.

23 The floor is yours, sir.

24 DARREN MCCLURE: Good morning [sic], gentlemen.  
25 Here we are at the beginning of this and I have also

1     been to all three of these meetings so far.  It's good  
2     to see our mayor back and in force here today.  Gene  
3     Stone and Chris Thompson.  I have a question about  
4     Aesop's Fables.

5             Have you guys heard the story of the Boy who Cried  
6     Wolf?  On the 14th as the fire was burning in San  
7     Clemente as people were being evacuated from Marine  
8     housing just south of Basilone Road, as people were  
9     being evacuated from the nuclear power plant, Southern  
10    California Edison continued to test their emergency  
11    sirens.

12            Is that smart to be doing during an evacuation,  
13    during an emergency?  Could we have done something a  
14    little better with that?  Thank you.

15            CHAIRMAN VICTOR:  Thank you very much.  Next is  
16    Jeff Steinmess and Donna Gilmore then Roger Johnson.

17            JEFF STEINMESS:  Hi.  Thank you for hearing us  
18    today.  I'm sorry to talk a little bit more about the  
19    earthquake thing.  The situation with the ground  
20    acceleration I also had an issue with.  I understand  
21    that he actually has provided a more detailed  
22    information about it.

23            But one of the things you gotta understand about  
24    ground acceleration here in California with respect to  
25    the Northridge earthquake, which was a blind fault, that

1 means nobody knew that it was there before the  
2 earthquake. That earthquake had ground acceleration in  
3 excess of .67. Okay.

4 What that means is that there is no real good way  
5 to predict where an earthquake is going to take place,  
6 how strong it's going to be, or what the ground  
7 acceleration is. It's this far from conjecture. When  
8 you have blind faults and you don't know where they are  
9 at and they exceed your built parameters, you're just  
10 hoping for the best. Thank you.

11 CHAIRMAN VICTOR: Could I just ask you since you  
12 have you more time? It is your contention -- could you  
13 stay up there for a second. I just want to ask an  
14 implication of your question. Is it your implication  
15 that we think there could be blind faults that produce  
16 1.5G or greater acceleration or is it just the general  
17 point of that blind fault?

18 JEFF STEINMESS: The 1.5G is related to the pad.  
19 It's not related to the pools. So my contention is not  
20 related to the pad.

21 CHAIRMAN VICTOR: So the implication --

22 JEFF STEINMESS: What I just specified was in  
23 relation to the pools they are in now and also the  
24 information that Mr. Tom Palmisano had mentioned.

25 CHAIRMAN VICTOR: Okay. Great. Thank you very

1 much for that. So Donna Gilmore and then Roger Johnson.

2 DONNA GILMORE: I'm Donna Gilmore. I live in San  
3 Clemente, and I'm very concerned that not enough is  
4 being done and not enough people understand the science,  
5 the engineering. For example, Per Peterson was at the  
6 workshop and said that after the fuel goes into the dry  
7 cask that there is no problem with it breaking down any  
8 further, the cladding.

9 Well, Marvin Resinkoff and I e-mailed him some  
10 information from an engineer of science called Bill  
11 Young that states the opposite of that. And he -- Per  
12 was good enough to do a reply all to many of the people  
13 on that e-mail list that he said, "Donna, you're right."

14 Okay. Now, that's good and that's bad. I'm glad  
15 I'm understanding things but it's really bad that he  
16 didn't know and he's on the Blue Ribbon Commission that  
17 is recommending our future. And unfortunately I'm  
18 finding there is a whole lot of things that people don't  
19 know and I'm very disturbed that I'm learning more than  
20 the people I'm supposed to go to as the experts.

21 So we really do need to take a hard look at this.  
22 We need to can the fuel because nobody freakin' knows  
23 what the heck it's going to do and how soon. Bob  
24 Isenger (phonetic spelling) at the NRC will only license  
25 for 20 years for dry cask. There are people that are up



1 for high burnup renewal that are overdue.

2 They haven't been relicensed, Prairie Island for  
3 example. This new 32 assembly cask it appears as though  
4 you can't even have damaged fuel cans in those casks from  
5 the way I'm reading the specs, but I would like to be  
6 able to talk to somebody who is more familiar with this  
7 to see if I'm interrupting it correctly. I'm just not  
8 sure, you know, who that is.

9 But I'm -- I would just like to be here to help  
10 solve this. I mean, we're all in the same boat here. I  
11 don't want this to be contentious. I want to work  
12 together, but I don't want to have our things dismissed  
13 out of hand when I'm finding that my information is  
14 better than these, you know, gold standard experts.

15 It's kind of scary. So if there is any  
16 information on this handout that you think is incorrect,  
17 I will fix it. The 32 assembly cask has me really  
18 worried because it looks like they have illuminated the  
19 ability to hold damaged fuel cans, which I think is  
20 going to make us even less safe.

21 And shoving 32 fuel assemblies in a space that  
22 currently houses 24 just seems like it's going to make  
23 the problem worse. And I know Edison has submitted a  
24 request to the NRC for those 32 assembly casks. That  
25 they said that they wanted to be able to use them by

1 September. So is that -- is that letter no longer valid  
2 that you submitted to the NRC? So anyway, I have a  
3 whole slew of questions, but I'm out of time.

4 CHAIRMAN VICTOR: Thank you very much for your  
5 comments. And just for the record, the handout you're  
6 referring to is the handout entitled "Choose Safety Over  
7 Profits," which is about the casks and the e-mail  
8 traffic with Per Peterson as part of the package of  
9 materials that I circulated to the panel in advance.  
10 I'm going to ask Per for some clarification because I'm  
11 not sure that that exactly was the intention of his  
12 reply, but I will get that clarified by e-mail.

13 Next on the list is Roger Johnson then Jennifer  
14 Massey.

15 ROGER JOHNSON: Good evening. In the time that  
16 permits, a couple of troubled issues that occurred to  
17 me. First one was about safety. And I didn't see that  
18 discussed very much tonight other than lip service.  
19 When the thought was brought up about putting -- you're  
20 going to spend \$400 million building a new storage  
21 plant.

22 And it couldn't possibly be put on the Mesa  
23 because then we would have to two police forces. Well,  
24 why not safety? Safety is much more important. I don't  
25 care if they have five police forces. If you take it

1 out of tsunami range, you take it out of public access,  
2 you make it more difficult for the terrorist to reach.  
3 That's a huge advantage.

4 And I don't care how many police forces you have  
5 to have. Safety comes first. Not the number of police  
6 forces. Another thing is I think if you're making  
7 long-range planning, I think you need to have your  
8 estimates as accurate as possible. The idea of having a  
9 2024 national repository is totally unridiculous [sic].  
10 I see that as a public relations gesture.

11 And I don't think that should be in there at all.  
12 If you started tomorrow morning, it wouldn't be ready by  
13 2024. Think how long it took to work on Yucca Mountain  
14 and it's still not -- was never finished. So I think  
15 the public should never be made to believe this stuff is  
16 going to be out of here by 2024 or 2029. That's not  
17 going to happen.

18 And that means you need to seriously consider a  
19 whole lot of things like recasking. And those casks are  
20 not going to last forever and you relicense them every  
21 so many years. But they're going to fail. The ones at  
22 Three Mile Island have failed. Some of them are leaking  
23 already. And we have to plan for that.

24 And so putting these in the worst possible  
25 location between a highway and the ocean and spending a

1 lot of money on it is to me very poor planning. I see a  
2 lot of planning for keeping all the waste right at San  
3 Onofre. I see very little planning going on on how to  
4 get it moved out of here. And that's the number one  
5 thing. Safety is the number one thing. That means the  
6 number one thing is get it out of here. Thank you.

7 CHAIRMAN VICTOR: Thank you very much. Next is  
8 Jennifer Massey and then Ray Lutts.

9 JENNIFER MASSEY: Yes. Good evening and thank you  
10 all for being here. Yeah. I've been living for 33  
11 years five miles from ground zero and I'm quite unaware  
12 of what was going on down there until Fukushima. And I  
13 hope you all can help us. Dr. Parker stated earlier  
14 this evening that earthquakes in California are  
15 typically 8 on the Richter Scale.

16 My understanding is that San Onofre was designed  
17 for no greater than a 7.0 earthquake on the Richter  
18 Scale. Maybe Dr. Parker could then explain why he feels  
19 we shouldn't be concerned about an earthquake at San  
20 Onofre. This past week the fire came within a half a  
21 mile of San Onofre.

22 Had the winds been unfavorable, sparks could have  
23 ignited the open pools full of radioactive spent fuel  
24 equal to -- I read in, I think it was The New York Times  
25 1,000 Hiroshima bombs. This -- the waste must be moved

1 immediately. We can't wait for a permanent repository.

2 You folks up here on the panel, your legacy --  
3 your legacy to Southern California is to rid Southern  
4 California of the nuclear waste. And, and, and treat  
5 the ratepayers fairly. Thank you on behalf of future  
6 generations who won't forget you either way you go.  
7 They will either thank you with great gratitude or  
8 eternal curses of the dead and dieing.

9 CHAIRMAN VICTOR: Okay. Thank you very much. Next  
10 is Ray Lutts and then George Allen.

11 RAY LUTTS: Thank you very much. My name is Ray  
12 Lutts. And I'm with Citizens' Oversight at  
13 citizenoversight.org. We do participate at the CPUC as  
14 a party in their official proceedings which is a  
15 regulatory agency that regulates this firm. Number one,  
16 the canning technology was mentioned tonight. It was  
17 mentioned by AREVA that it was not a safety measure.

18 Gene brought up that maybe it did have some safety  
19 elements to it. I would suggest that maybe we should  
20 consider canning technology that's different that does  
21 have safety elements to it such as complete enclosure of  
22 each -- each assembly such that one assembly  
23 disintegrating would not propagate to others and create  
24 a real disaster.

25 Siting options, we talked about some siting

1 options but nothing in detail. We need to get into some  
2 detail about the siting options at this facility  
3 including at the Mesa area possibly using the  
4 subterranean tunnels that they have and the subterranean  
5 areas in the Mesa area.

6 I don't know if you could get under the freeway  
7 using those tunnels or not, but I think you can. I just  
8 don't know because that stuff isn't very public. I want  
9 to make the request that the draft of the Irradiated  
10 Fuel Management Plan be made public immediately. There  
11 is no reason to keep this stuff private.

12 The fire on May 14th, why did the staff not  
13 shelter in place? It seems like a pretty safe place to  
14 be. Hopefully the plant would not start to burn.

15 Description of why the fuel was loaded into the  
16 cannister. I want to see a better description. How do  
17 they load it into the cannister? How do they get the  
18 water out? How do they take end panel off? Nothing has  
19 been described yet.

20 We are still absolute beginners on earthquake  
21 technology. Plate tectonics was first described in 1965  
22 through 1967. You think that several decades really  
23 means we know about earthquakes. Absolutely not. We  
24 know nothing.

25 So to come in here and say that we know how much

1 the ground is going to shake and things are going to --  
2 everything is safe is ridiculous. Funds -- those funds  
3 that are left at the end of this decommissioning, we  
4 don't get those funds back until absolutely all of the  
5 irradiated fuel is removed.

6 How long will that take, centuries? So that money  
7 will sit there. So we need to figure out a way to get  
8 the money out when the first part of the decommissioning  
9 is completed. I'm going to send you a letter on the  
10 details on those things. Thank you.

11 CHAIRMAN VICTOR: Thank you very much. Next is  
12 George Allan and then Glenn Cross.

13 And let me say that because the issues of fire are  
14 both front of mind and relate to some fuel management  
15 questions, I'm going to ask at the end of the public  
16 comment period for Tom Palmisano to make a brief comment  
17 on the fire issues and the particular fire integrity of  
18 the fuel. Because I think we should not leave here  
19 tonight without having heard from him some materials  
20 that have actually already been circulated to the CEP.

21 George Allan.

22 GEORGE ALLAN: Yes. I'm George Allan. I happen to  
23 be a radiation protection worker at San Onofre. I tune  
24 up the instruments that measure radiation. I have been  
25 involved in some -- putting the canisters into the ISFSI

1 pad, into the NUHOMS cement housings. The first thing I  
2 wanted to explain was those rates -- we do perimeter  
3 surveys.

4 And those rates are background on the ISFSI pad  
5 and at the spent fuel fence. The NRC regulates us to  
6 give you, the public, one one-thousandths of a chance of  
7 cancer or accident. They say in the normal world you  
8 will have some source of radiation or some source of  
9 accident or cancer.

10 We give you one-thousandths of an additional risk  
11 to your life from our plant. And we live to that goal.  
12 So anyway, Ms. Boxer had kind of an incendiary comment  
13 saying that these spontaneous ignition of this fuel  
14 could happen if we have an electrical fault. Our plant  
15 we have 105 hours to get to even 200 degrees.

16 And studies that she has shown that we referenced  
17 when I looked up her letter, at our age of our fuel it's  
18 two and a half years old it would take 11 days to boil  
19 down to three feet above the pool -- above the fuel.

20 And after that they have 10 hours to 24 hours to  
21 get water in the pool before you have -- if the fuel is  
22 uncovered in air, then it could ignite after 10 to 24  
23 hours. So to be a spontaneous ignition that's a  
24 misleading statement. So basically two weeks plus 10 to  
25 24 hours of being exposed then you might have a



1 zirconium fire.

2 So anyway to explain what that is, and Tom, I'm  
3 sure, will give you more. And I happened to be there  
4 during the fire. I'm not an Edison spokesman. It was  
5 in the campground. It was a brush fire. It was just a  
6 brush fire. But our plant did help.

7 So anyways, three things did not happen at  
8 Fukushima. They did not have a spent fuel pool leak,  
9 their ISFSI canisters were intact and no one died of  
10 radiation sickness. So anyway, I just wanted to explain  
11 we're pretty safe down there. The plant has strong  
12 barriers to terrorists, earthquake boundaries. We have  
13 strong, wide cement walls to protect against a pool  
14 leak. So anyway, I just wanted to give a little  
15 different view of San Onofre.

16 CHAIRMAN VICTOR: Thank you very much for those  
17 comments. At a later meeting of this panel, probably in  
18 the fall, we'll deal with emergency preparedness  
19 questions.

20 Next is Glenn Cross and then Carl Allenger. I  
21 think I may be mispronouncing your last name,  
22 Mr. Allenger.

23 GLENN CROSS: I'm Glenn Cross. And I just wanted  
24 to comment that, Tom, you're kind of the key man here,  
25 Tom Palmisano, and I notice that you aren't on the list

1 of the people that are going to be at the head table. I  
2 admire your courage for coming here tonight especially  
3 since your fellow panel members didn't see fit to give  
4 you credit.

5 You also have experience in decommissioning. I  
6 think that's what's missing here. I've got some  
7 experiences I told with the SONGS project. We're the  
8 ones that were responsible for the shutdown of SONGS.  
9 And my comment for the benefit of the young lady from  
10 Japan that Mitsubishi Heavy Industry were the folks who  
11 manufactured the four steam generators and their design  
12 on the tubing in those steam generators is what failed.

13 So I would comment that there is a lot of  
14 problems, there's a lot of problems with management.  
15 There is a lot of management -- of problems with  
16 technicians. We've got problems in the United States  
17 right now with competence. We've got guys here from the  
18 union.

19 There are guys here from the labor union and the  
20 union representatives. I got to give credit to these  
21 guys because they are working around this radiation that  
22 everybody is afraid of. The fellow sitting next to me  
23 down here was telling me about how risky it is to work  
24 around radiation.

25 I've got to tell you that guys have worked at

1 SONGS for years. Guys have been monitored for radiation  
2 exposure. Hell, physicists have worked down there.  
3 Those guys have not died. There have been people who  
4 died at Fukushima. The manager in charge of a lot of  
5 the folks from the Fukushima plant ran to the other  
6 plant. It was closer to where the offshore seismic  
7 event occurred. But I got to tell you that we're  
8 working with the limits of human beings. I'm a veteran.  
9 I'm a Vietnam veteran. I'm disabled. I got to tell you  
10 that the Veteran's Administration has problems.  
11 Healthcare in general is going to have problems.

12 Because it's all going down to even more  
13 complicated than the Veteran's Administration hospitals.

14 So I give credit to Tom Palmisano. I give credit  
15 to the representative of the union. I give credit to  
16 the guys who are working at the plant. And I would  
17 assure everybody here who is just as concerned as I am  
18 that we've got it in the hands of competent people.

19 I give all of you credit for being a part of the  
20 oversight and especially to the CPUC who are working in  
21 conjunction with Tom Palmisano to make decisions. I  
22 have in my own mind confidence in the capability of  
23 Palmisano, his engineers, and the other schedulers from  
24 SONGS.

25 I believe that everybody here is well intentioned.

1 I believe everybody in the audience is well intentioned.  
2 But I got to tell you, do not overreact to nuclear.  
3 Nuclear is a proven concept.

4 CHAIRMAN VICTOR: Thank you very much for your  
5 comments. Carl Allenger, please. And then Toby Garret.

6 CARL ALLENGER: Thank you all for the professional  
7 work you appear to be doing here. And I don't mean that  
8 facetiously. This is the first San Onofre meeting that  
9 hasn't made me angry. And I'm still very concerned  
10 about the situation.

11 I'm a concerned citizen of Fallbrook, which is 14  
12 miles from SONGS. As you no doubt know, we started our  
13 fire season with a bang this year. Three of those fires  
14 were on the grounds of Camp Pendleton, which like  
15 Fallbrook is the plant's closest neighbor. No  
16 disrespect to our military but that expanse of chaparral  
17 across Pendlton makes it an extremely fire prone  
18 neighbor experiencing several major fires each and every  
19 year.

20 Of course we all look forward to this hot waste  
21 leaving our community completely but while this volatile  
22 liability is not in dry cask storage, for example, for  
23 the next seven years we should not fail to respect that  
24 active cooling powered by off-site power is still a  
25 critical matter to keep those waste pools from going

1 critical.

2 And I appreciate the gentleman's statement here  
3 just a little while ago who said we have 11 days. That  
4 would be a nice thing for San Onofre to put in writing  
5 and explain to the public so they understand that we're  
6 not in a four- or eight-hour window. That we are  
7 actually in a state where 11 days of no power to San  
8 Onofre would not cause a problem.

9 If that's not the truth, then let's talk about  
10 what the truth is because post Fukushima everybody is  
11 still very concerned in this community about where San  
12 Onofre has left us.

13 Final point if I understood the point about  
14 cooling redesign and that you must recreate the cooling  
15 units of units 2 and 3 as part of decommissioning, I  
16 urge you to use the most comprehensive safety backups  
17 including better backup generator placement and  
18 batteries.

19 In other words, many years ago this was our design  
20 and this was our sea wall and this was our possible  
21 threat of tsunami. If you are in the middle of making  
22 changes to that cooling system during decommissioning, I  
23 urge you to consider improvements rather than status  
24 quo. Thank you.

25 CHAIRMAN VICTOR: Thank you very much for your

1 comment. And I think some of what you asked for in the  
2 islanding systems will be in the next draft of the plan  
3 and the materials shared with the CEP.

4 Next is Toby Garret and then Jason Carter.

5 TOBY GARRET: My name is Toby Garret. I'm with the  
6 Ironworkers Local 229 out of San Diego. I didn't really  
7 know this was going to be about the fuel rods, all that  
8 kind of stuff. I was more -- we're here to address the  
9 dismantling of the actual structure.

10 And I think that talks more to what Chris Thompson  
11 was saying it's a financial thing. Financially speaking  
12 if you want to come in as financially feasible time  
13 wise, you want professionals and we're the ones that do  
14 that work. We're the ones that take the steel apart, we  
15 erect it, we take it apart.

16 We saw it at 9/11 when those buildings came down,  
17 the first responders showed up. They were looking at a  
18 pile of rubble. They didn't know what to do. Who did  
19 they call? They called Local 40, union ironworkers in  
20 New York City and they came in and took stuff apart in a  
21 safe manner.

22 Yeah. You get people in there that aren't trained  
23 to do this work you're going to have much more injuries,  
24 deaths, and damage to property which is going to push  
25 your bottom line through the roof. From what I heard

1 Mr. Parker say it sounds like these fuel rods being put  
2 into these casks is much safer than where they are at in  
3 these fuel pools.

4 You have a failure of electrical systems,  
5 mechanical systems, that might cause a meltdown.  
6 They're in static storage. Sounds pretty good. I hear  
7 everyone talk about getting it out of here. Move it to  
8 where? Move it to another state? That sounds like  
9 picking dog poop out of your backyard and flinging it  
10 over the fence into your neighbor's yard. That don't  
11 sound very neighborly to me. Thank you.

12 CHAIRMAN VICTOR: Thank you very much for that  
13 image.

14 Jason Carter and then Gregory Dawson. Are you  
15 Jason Carter? Oh, okay. Gregory Dawson and then Caesar  
16 Carrara.

17 GREGORY DAWSON: My name is Gregory Dawson. I'm  
18 also a member of the Local 229 ironworkers. I am happy  
19 to be before you guys today, and I appreciate you guys  
20 giving us the opportunity to listen to the things that  
21 are taking place here and I'm -- we appreciate the  
22 opportunity and I don't have any questions or any  
23 comments further at this point in time. But I wanted to  
24 have the opportunity so I do thank you for your time and  
25 concede the rest of the time to the panel.

1           CHAIRMAN VICTOR: Thank you very much. And thank  
2 you for you and your colleagues coming tonight and  
3 showing interest in this process. It's much  
4 appreciated.

5           Caesar Carrara. And then Daniel Dominguez.

6           CAESAR CARRARA: How are you guys doing? First  
7 thing I want to do is thank Tom for the great  
8 presentation you gave up there. I watched my father  
9 build this place back in the day. I'm second generation  
10 ironworker. My son is a third generation ironworker.  
11 I'd love to see my son come out here and dismantle this  
12 place.

13           The only bad thing about that is, you know, this  
14 place has retired ironworkers. And it has put a lot of  
15 families to work and has given livable wages and work.  
16 We're getting rid of it. That's hard to see. But  
17 Edison, their safety that they have is immaculate. You  
18 know, we've had a lot of ironworkers out there working,  
19 working hard, working safe.

20           Never had any issues. I think they're going in  
21 the right direction. And the way they're looking at  
22 things, they're going to do the right thing. And we're  
23 going to get rid of these rods and we're going to put  
24 things away safe. And make sure -- I mean, if they take  
25 care of the workers, I mean, it's one of the safest



1 places I've ever seen in the construction world. And  
2 everything they are going to do -- if they do that for  
3 the workers, imagine what they are going to do for the  
4 citizens outside. I believe they are headed in the  
5 right direction and they are going to do the right  
6 things. Thank you.

7 CHAIRMAN VICTOR: Thank you very much for your  
8 comment. Daniel Dominguez and then Robert Alvarez.

9 DANIEL DOMINGUEZ: My name is Daniel Dominguez, and  
10 I'm the chief officer for the local union that  
11 represents the operations, maintenance, and technical  
12 workers, and clerical workers at SONGS. There's about  
13 110 of us left, 120. I just want to take this  
14 opportunity to introduce myself to the panel.

15 My background is I worked at San Onofre for 32  
16 years, 25 of those years as a reactor operator. My wife  
17 works there. She is a senior reactor operator. Both of  
18 us live in Oceanside, and we -- I would like to offer  
19 our help or our advice or whatever you want to call it  
20 from a worker's perspective.

21 I'll tell you that we have operated that plant  
22 since 1968 starting with unit 1. We have operated --  
23 all our members are highly trained, highly skilled,  
24 dedicated workers. We -- even though we've shut down,  
25 our commitment to safety has not changed. Everything

1 from the day we started our primary responsibility is  
2 the health and safety of the public. Protect the health  
3 and safety of the public. Even though now we're  
4 decommissioning or in the process of decommissioning,  
5 our responsibility has not changed. It's to protect the  
6 health and safety of the public. I spent Sunday and  
7 part of that responsibility I was on shift working,  
8 monitoring the spent fuel pool and I have computers that  
9 monitor that, monitor the temperature of the ISFSI.

10 I think it was mentioned the ISFSI is kind of --  
11 is a passive system. I'm still required to go out there  
12 and walk around. So I spent Sunday walking around the  
13 ISFSI pads, taking -- checking pool levels. And I will  
14 tell you that, you know, with respect to the safety and  
15 the concern the people have about fires and all this, I  
16 will tell you that Edison and our union, our workers  
17 take a responsibility to protect the health and safety  
18 of the public very seriously.

19 And we would not tolerate or do anything to  
20 jeopardize that safety. I don't -- there was some  
21 mention about the fire. I was here the day of the fire.  
22 And the I heard the PA announcement. They did an  
23 evacuation of the storage building, but it was just a  
24 precautionary evacuation.

25 I think a handful of people were evacuated.

1 Nothing burned. There was no components that were  
2 jeopardized, the safety of the fuel or the spent fuel  
3 pool in that building. So with that, again, if I offer  
4 our services or advice if the panel is so inclined to do  
5 so. And again, thank you for the opportunity to speak.

6 CHAIRMAN VICTOR: Thank you for your offer. Thank  
7 you.

8 Robert Alvarez and then Beverly Finlay Koneco.

9 Mr. Alvarez.

10 MEMBERS OF THE PUBLIC: He's going to pass it looks  
11 like.

12 CHAIRMAN VICTOR: Beverly Finlay Koneco, please.  
13 And then after she speaks Madge Torres.

14 BEVERLY FINLAY KONECO: As I mentioned at the last  
15 CEP meeting, I'm working on an oral history project  
16 about Fukushima. Some of our interviews air regularly  
17 as a feature called Voices of Japan on a weekly pod  
18 cast. This week we featured former Mayor of Futaba  
19 Town, Katsutaka Idogawa. As host to the Fukushima  
20 Daiichi Nuclear Power Plant the town of Futaba suffered  
21 devastating harm.

22 I want to share what he has to say today because I  
23 was very disturbed by one of the local political  
24 leaders, Mr. Brown, on this panel -- his performance on  
25 this panel at the last CEP meeting when he brandish the

1 shiny PR notebook provided by SCE and praised its  
2 content challenging the concerned citizens sitting  
3 before you to come up with something better.

4 Here's part of what Mayor Idogawa has to say.  
5 "Three years have passed already. The feelings of  
6 regret and frustration caused by the deplorable  
7 circumstances of March 11th, 2011 continue even now.  
8 What is most frustrating is that the government and  
9 TEPCO promised us that the nuclear power plant would not  
10 cause an accident.

11 "As mayor I sat in my office with those people  
12 over the years and discussed the possibilities of an  
13 accident occurring. Did they tell the truth? They  
14 always said, Mr. Mayor, don't worry, an accident will  
15 definitely never happen. Well, the nuclear power plant  
16 broke down pretty easily in the earthquake and tsunami,  
17 didn't it? The operation of nuclear power plants was  
18 based on a lie.

19 This accident is proof that nuclear power is an  
20 incomplete technology. Furthermore, the nuclear power  
21 plant destroyed our town. The town is a public entity.  
22 A privately owned for profit utility corporation  
23 destroyed a public body, our town." The interview  
24 continues but that is all I have time for.

25 We essentially have a nuclear waste dump sitting

1 on our shore here in Southern California. Taking the  
2 utility's promises at face value can prove to be  
3 reckless behavior. Our nation does not have a good  
4 track record in dealing with nuclear waste as  
5 demonstrated by the messes at Hanford in Washington  
6 State and the Waste Isolation Pilot Project in New  
7 Mexico, which is shut down currently due to an accident.

8 I would urge you to research the situation beyond  
9 the packets that Edison is giving you. You could go to  
10 [sanonofresafety.org](http://sanonofresafety.org) or could go to The Nuclear  
11 Information and Resource Service, The Committee to  
12 Bridge the Gap and The Union of Concerned Scientists.  
13 Finally I would like to recommend to everyone on this  
14 panel that you read David Lochbaum and Edwin Lyman's  
15 book Fukushima, A Nuclear Disaster. You'll learn a lot  
16 about the NRC.

17 CHAIRMAN VICTOR: Thank you very much for your  
18 comment. Just to clarify the record, the situation --  
19 the incident you referred to -- or event you referred to  
20 was concerning transparency to this panel when Vice  
21 Chairman Brown held up the book as evidence that, in  
22 fact, the panel in the process has been very  
23 transparent. I'm sure we could do better. But just to  
24 clarify the record that that was the situation to which  
25 you're referring and you could certainly check the tapes

1 on that.

2 Madge Torres and then Gahal Kurnihan, please.

3 MADGE TORRES: Hi, I'm from Carlsbad. My name is  
4 Madge Torres. High burnup fuel takes much longer to  
5 cool than the previously used fuel. For that reason, I  
6 think it's important that we have a means to measure the  
7 temperature of the high burnup fuel to know when it is  
8 finally safe to put in a dry cask storage.

9 Tests should be done ahead of the storage to  
10 determine the differences between high cask -- high  
11 burnup fuel and the previously used fuel. We don't want  
12 to rush to dry cask the high burnup fuel. Once high  
13 burnup fuel is in storage, it is more difficult to  
14 monitor and cool. Give the time the high burnup fuel  
15 needs to cool sufficiently before you store it in dry  
16 casks.

17 CHAIRMAN VICTOR: Great. Thank you very much for  
18 your comments. And let me just reiterate that Gene  
19 Stone and other members of the CEP are going to be  
20 working with a variety of folks on these calculations.  
21 And I'm going to personally oversee that process to make  
22 sure that we're as transparent on that as we can be.

23 Gahal Kurnihan and then Steven Van Wagner.

24 Can you reset the clock, please. Thank you very  
25 much.

1           Please, sir, the floor is yours.

2           GAHAL KURNIHAN: First of all, I want to thank you  
3 for the work that is very important and not necessarily  
4 particularly joyous. In fact, I would say that it was  
5 difficult and sometimes terribly depressing, but I  
6 commend you for what you're doing and I hope that you  
7 will stay with it.

8           And I'm also pleased to see representatives of the  
9 cities here. One of the things that I'm very concerned  
10 about because I can agree with almost all of the things  
11 that have been brought to as concerns tonight. One of  
12 the things is just a little history of the four -- for  
13 people that are trying to deal with the problems you're  
14 dealing with now.

15           I'm thinking particularly of what happened at  
16 Santa Susana, my God, that is still going on and not  
17 completely resolved. And (inaudible) of people and  
18 other lawyers and scientists and so forth for decades  
19 they've been trying to find a solution so they could  
20 really put that to bed.

21           And I guess maybe some of them feel they have by  
22 now. But I think it's very important that you have made  
23 a commitment and you're this far along and a very hard  
24 and often I would say discouraging thing. I just think  
25 that in terms of the past of bodies like this -- and I

1 think all these mayors, they got a lot of problems.

2 This is one more they don't need probably.

3 But I'm glad you're here. I'm glad you're doing  
4 this. All I'm saying is let's make history. Let's make  
5 this body somehow through prayer or whatever else it  
6 takes able to bring closure.

7 CHAIRMAN VICTOR: Thank you very much for your  
8 inspiration on that. That is certainly our hope here.  
9 Thank you for your supporting comments.

10 Steven Van Wagner and then Venad Aurora.

11 STEVEN VAN WAGNER: My name is Steven, and I am a  
12 citizen of San Clemente. And I do think we owe a debt  
13 of thanks to the technicians and steelworkers who did  
14 make this SONGS run fairly well since 1968. Now, I'm  
15 sure they didn't have anything to do with the design  
16 change.

17 I would think that would have been in the hands of  
18 management. So we do owe a debt of thanks to all the  
19 steelworkers, technicians, and the people that do the  
20 day-to-day stuff at SONGS because they have been  
21 successful until the design was changed.

22 The one thing I thought about the last meeting on  
23 May 5th, I believe, a great deal of time was spent  
24 looking at the technology of moving high level nuclear  
25 waste.



1           And we saw all kinds of neat containers and  
2 storage containment and stuff like that. The only  
3 problem is there is no place to move it to unless you're  
4 going to put it on trucks and keep them circling the  
5 country. There is no current high level waste. There  
6 never has been one in this county.

7           In fact, if you look at the history of mankind  
8 searching for a place for high level waste, we've been  
9 at it 50 years in about 25 different countries. All the  
10 scientists, the best engineers, the brightest human  
11 beings on earth have not solved this problem. So you  
12 tell me you assume in 10 years the DEO is going to take  
13 this high level, highly irradiated waste off your hands.  
14 I think you're kidding yourself because you're not  
15 kidding us. Thank you very much.

16           CHAIRMAN VICTOR: Thank you for your comment. And  
17 the last comment tonight will be from Venad Aurora.  
18 Could I just while you're taking the floor, sir.  
19 Several comments have been made tonight about this DOE  
20 assumption.

21           It is my understanding that there is a legal  
22 requirement for -- or an expectation (inaudible) or  
23 legal requirement to make some assumptions about when  
24 the DOE is going to take this. It is not the case.  
25 Certainly not the case that people are blindly assuming

1 the DOE is going to take this starting in 10 years or  
2 whenever it is.

3 So the two very distinct issues and the fact that  
4 that's in the plan is a procedural thing and I think  
5 everybody has got their eyes open about the reality. So  
6 I just want to clarify that for the record. Since  
7 several comments have been made in that regard.

8 Sir, the floor is yours.

9 VENAD AURORA: Good evening, everybody. It's a  
10 pleasure to be here and it is a pleasure to serve the  
11 society. I worked with -- for 15 years I was the fire  
12 protection engineer, the emergency plan auditor, and a  
13 (inaudible) engineer. I have a series of questions,  
14 which nobody needs to answer, in concern into the  
15 decommissioning plan which Edison has right now. These  
16 will be addressed to Tom.

17 SCE claims in a \$4 billion lawsuit against  
18 (inaudible) delivered lemon generators and failed to  
19 come up with a license and repair plan for both units 2  
20 and 3. SCE hired AREVA vesting out from others global  
21 experts to prepare an extensive unit 2 restart plan  
22 which SCE claims was not approved by NRC in a timely  
23 fashion.

24 NRC don't accept the license and board cert. They  
25 were comparable differences between the placement steam

1 generators and original steam generators. And told SCE  
2 and NRC to hold hearings with the license (inaudible).  
3 SCE chose to shut down both units 2 and 3. These  
4 companies, AREVA (inaudible) and others, didn't help  
5 Edison to come up with a plan which called the so public  
6 NRC (inaudible).

7 Now, as a fire protection engineer, I have a  
8 question. Does the dedicated power cooling plan you  
9 have for spent fuel pools is approved by NRC and based  
10 on a defense in-depth approach? You don't have the  
11 answer that question. What gives SCE the confidence in  
12 AREVA's new 32 cask assembly? My last question is would  
13 Edison and this panel consider an independent off-site  
14 consultant or a company to look into the decommissioning  
15 plans and all of the cost measures so the public can be  
16 assured of that they are safe and their money is  
17 being -- thank you.

18 CHAIRMAN VICTOR: Thank you. Thank you very much.  
19 I think in our previous meeting the issue oversight has  
20 been addressed. But I do note that a number of very  
21 specific questions were raised tonight and Dan Stetson  
22 and I will work with Tim Brown to prepare a list of  
23 those and get answers back along with some of the larger  
24 topics that came up in tonight's meeting.

25 I have a few closing items of business. But

1 before I do that I want to quickly ask Tom Palmisano if  
2 there is anything because the issue of fire came up so  
3 much and it is a timely one, is there anything further  
4 briefly that you want to share with us perhaps Mr. Allan  
5 from SCE who already covered that in his comments.

6 But is there anything further that we should know  
7 about or look for on the website concerning the issue of  
8 fire including fire risk to the fuel itself?

9 MR. PALMISANO: Sure. The mic's on? Thank you.  
10 Just let me clarify a few things as I think a couple of  
11 the members of the public noted the fire approached to  
12 approximately about a half mile from the south edge of  
13 the property. It never entered the property.

14 Camp Pendleton responded effectively along with  
15 other off-site fire fighting resources. We deployed our  
16 fire brigade on site to wet down vegetation near storage  
17 buildings on the south side. This is not the power  
18 production area of the plant. It's well south of that.  
19 The evacuation that has been mentioned, there were  
20 approximately 12 people working in these storage  
21 buildings.

22 We moved out of the storage buildings. We use the  
23 term "evacuation." It's certainly a precautionary  
24 measure and it wasn't because of the hazard of the fire  
25 to stage fire brigade and lay out some fire hoses and

1 charge fire hoses. I simply wanted them out of the way.  
2 So there was no hazard created by our fire brigades  
3 setting up to those people.

4 Their work was not necessarily critical so it made  
5 more sense just to move them out. We did not evaluate  
6 the plant. The plant remained manned the entire time.  
7 So that's the reality of it.

8 CHAIRMAN VICTOR: Thank you very much for that.  
9 Let me quickly see if anybody on the panel would like to  
10 make any additional comments on what you heard tonight.  
11 We are very limited in time but I do want to give you a  
12 chance to comment if there are things that you think  
13 pertain to our future agendas or other commentary that  
14 you want to make.

15 Tim Brown.

16 MR. TIM BROWN: Yeah. You know, I think it's  
17 important -- some of the folks from San Clemente may  
18 know this but I want to share something that is more of  
19 a personal approach; you'll have to forgive me. There's  
20 a number of elected officials up here. And first of  
21 all, none of the panel is paid. We're up here because  
22 we are very interested in the outcomes that we're going  
23 to have here.

24 We all have a stake in this decommissioning  
25 process. On a very personal note, you know, there are a

1 few people, I don't doubt, anyone in this room that  
2 maybe has had a more personal experience with the  
3 federal government's mistruths about the dangers of  
4 radiation. I happened to grow up in Mesa, Arizona.

5 My father was born and raised in St. Johns,  
6 Arizona. It's in northern Arizona next to the Four  
7 Corners area as was most of my family, ranchers and  
8 farmers up in that area through the 1930s to the 1970s.  
9 There are still all up there, all my cousins. And we go  
10 up there for family reunions.

11 The reason I'm telling this story is because when  
12 we were in the Cold War, the federal government saw it  
13 fit to detonate test, after test, after test in Nevada  
14 which prompted, blew radiation and then fallout all over  
15 Southern Utah and Northern Arizona. Because of that, my  
16 grandfather died of throat cancer, never smoked a  
17 cigarette in his life at 52.

18 My father died of multiple myeloma related to the  
19 Downwinders disease. I lost an uncle, a cousin, an  
20 aunt, and we've had a host of health issues in our  
21 family because of what I believe was a federal  
22 government's lack of transparency. And so I have a very  
23 personal stake in this. So I'm very interested.

24 But I want you to know I have great confidence,  
25 otherwise I would not live in San Clemente. I have

1 great confidence that this process will be done safely.  
2 At the end of this that we will accomplish what we need  
3 to accomplish. And more important than all of this is  
4 that the truth will prevail.

5 I don't like hyperbole. I don't like being told  
6 everything is okay. But I also don't like being told  
7 everything is falling apart. I like the truth. And so  
8 I think that we will get there in this panel. I think  
9 we've got -- everyone's interested in that. We are all  
10 here for that purpose.

11 And ultimately that's all I ever wanted for my  
12 family was the truth, which it did come out eventually.  
13 And -- but I have confidence for everything I've seen.  
14 You folks may not see all the things. SCE is giving us  
15 everything we ask for and more. You're providing a ton  
16 of data that we're challenging that with and I think the  
17 sum total of all this process is we're going to  
18 understand a lot more than we did when we started and I  
19 think we'll be more comfortable.

20 CHAIRMAN VICTOR: Other comments people would like  
21 to make?

22 Dan Stetson.

23 MR. STETSON: Yes. Just a reminder that if you go  
24 home and you have a question or you don't feel  
25 comfortable getting up here and voicing the question,

1 you're welcome to go onto the website and there is an  
2 application there where you could send a message or a  
3 question to us and we will do our best to answer it.

4 CHAIRMAN VICTOR: Thank you very much. In fact, I  
5 think the questions that are received at least 10 days  
6 prior to the next meeting of the CEP, we're going to  
7 collate all those questions so that in addition to the  
8 public comment period, we're going to collect all the  
9 questions that are submitted on the website and do our  
10 best to answer them here and there.

11 I think it is very important that all of us  
12 recognize that as this process unfolds, we're also  
13 gathering a huge amount of information. So many of the  
14 issues that have been raised tonight, tsunami risk,  
15 corrosion, recasking, some of the seismic questions.  
16 We've begun to look at those and there's actually quite  
17 a lot more material now already available through the  
18 CEP process on that.

19 And so I would urge all of us to look at that  
20 material and then if you don't agree with it then come  
21 back and say, hey, I think this is incomplete or  
22 whatever.

23 Other questions or comments people would like to  
24 make?

25 Let me just say a few final words about where we



1 stand next. We will brief -- we're still in the process  
2 of settling on dates for summer meetings. We'll have a  
3 workshop in June. And then a full meeting of the panel  
4 in August.

5 Those events will be focused on the Post-Shutdown  
6 Decommissioning Activities Report, PSDAR, and the  
7 Decommissioning Cost Estimate, the DCE. There's a lot  
8 of acronyms in this business. And those are crucially  
9 important documents in particular the Decommissioning  
10 Cost Estimate because that lays out a plan and a vision  
11 for what happens and the timing of that which is a big  
12 impact on costs.

13 And so we'll all be paying close attention to  
14 that. There will be a workshop in June and then a full  
15 meeting of the panel in August.

16 I want to say four things to close from my  
17 perspective. The first is that I've been asked to go  
18 visit the NRC in the middle of July. So if members of  
19 the panel think that there are particular issues that we  
20 need to raise to the panel of the NRC, areas of  
21 ambiguities and so on. I will do my best to raise those  
22 with Chairman McFarlin and with other members of the  
23 NRC. Second, is just to echo something that Dan Stetson  
24 said which is we are working very hard to make that  
25 website useful, [songscommunity.com](http://songscommunity.com).

1           That includes now this comment form that's been  
2 added. It includes all documents that have been  
3 circulated to the CEP are now posted as of tonight.  
4 We're going to be completely transparent in this  
5 process. At some future meeting I have promised and I  
6 know Gene Stone and others are keen that we work on this  
7 as well, which is to begin a process of talking about  
8 what viable consolidation plan, waste consolidation  
9 plans might look like, long-term storage plans, what  
10 could we and Southern California do to help raise the  
11 odds of that.

12           That's something that our delegation in Washington  
13 is working on and some of the many comments tonight were  
14 focused on.

15           The last thing I'll say is at our next meeting we  
16 will have a discussion of where we've been, what we've  
17 done, where we're going next. Dan Stetson is going to  
18 led that process. Because we've been keeping fairly  
19 good records of the major topics that have been raised  
20 and how we've been doing our work.

21           I think we've actually made already a lot of  
22 progress for a very young panel. And we urge you to  
23 help us make sure we stay focused on what matters most  
24 for the community and that matter most for making this  
25 decommissioning process safe and effective. And with

1 that, we are adjourned. Thank you very much.

2 (Whereupon the proceedings

3 concluded at 8:57 p.m.)

4 --ooo--

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## REPORTER'S CERTIFICATE

I, the undersigned Certified Shorthand Reporter holding a valid and current license issued by the State of California, do hereby certify:

That said proceedings were taken down by me in shorthand at the time and place therein set forth and thereafter transcribed under my direction and supervision.

I further certify that I am neither counsel for nor related to any party to said action, nor in any way interested in the outcome thereof.

The dismantling, unsealing, or unbinding of the original transcript will render the Reporter's Certificate null and void.

IN WITNESS WHEREOF, I have subscribed my name on this date: June 3, 2014.



---

Brooke M. Gallagher, CSR 13360